

2806

COMMONWEALTH OF PENNSYLVANIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION
ENVIRONMENTAL QUALITY BOARD

* * * * *

IN RE: PROPOSED RULEMAKING WASTEWATER TREATMENT
REQUIREMENTS 25 PA CODE CHAPTER 95

PUBLIC HEARING

* * * * *

BEFORE: PATRICK HENDERSON, Chair
HEARING: Wednesday, December 16, 2009
5:00 p.m.
LOCATION: PA Department of Environmental Protection
Northcentral Regional Office
Goddard Conference Room
208 West Third Street, Suite 101
Williamsport, PA 17710-6448

Reporter: Sarah Wendorf

Any reproduction of this transcript
is prohibited without authorization
by the certifying agency

1 WITNESSES: Deborah Nardone, Alan Sever, Jim Weaver,
2 Nathan Sooy, Jon Bogle, Anne Harris Katz,
3 Harvey Katz, Ned Wehler, Tanya Dierolf,
4 Barbara Jarmoska, Jerry Walls, Mark Hartle,
5 William Gleason, John Tewksbury, Carl
6 Undercofler, Ed Lawrence, Russ Cowles, Tam
7 Mausteller, Ralph Kisberg, John Kesich,
8 Arnold Vosk

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

1		
2	OPENING REMARKS	
3	By Chairman Henderson	5 - 9
4	TESTIMONY	
5	By Deborah Nardone	9 - 14
6	By Alan Sever	14 - 17
7	By Jim Weaver	17 - 20
8	By Nathan Sooy	20 - 24
9	By Jon Bogle	24 - 27
10	By Anne Harris Katz	27 - 32
11	By Harvey Katz	32 - 39
12	By Ned Wehler	39 - 44
13	By Tanya Dierolf	44 - 51
14	By Barbara Jarmoska	51 - 55
15	By Jerry Walls	55 - 59
16	By Mark Hartle	59 - 64
17	By William Gleason	64 - 65
18	By John Tewksbury	65 - 68
19	By Carl Undercofler	68 - 69
20	By Ed Lawrence	69 - 73
21	By Russ Cowles	74 - 75
22	By Tami Mausteller	75 - 78
23	By Ralph Kisberg	78 - 80
24	By John Kesich	81 - 82
25	By Arnold Vosk	82 - 86

E X H I B I T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

		Page
<u>Number</u>	<u>Description</u>	<u>Offered</u>

NONE OFFERED

P R O C E E D I N G S

CHAIRMAN PATRICK HENDERSON:

1
2 -----
3
4 We're going to get started on our hearing
5 this evening. I thank you all very much for coming
6 out, taking some time from your personal schedules on
7 this important issue. My name is Patrick Henderson.
8 I am going to serve as the Chairman of this hearing
9 tonight. I am an alternate for Senator Mary Jo White,
10 who is a member of the Environmental Quality Board.
11 The Environmental Quality Board is the entity that is
12 holding tonight's hearing with the Department of
13 Environmental Protection.

14 First, I have to start off by reading a
15 statement for the record that will describe the
16 rulemaking and the proceedings for tonight. After I
17 conclude that, I will call upon the witnesses who have
18 pre-registered for testimony. And then after we have
19 concluded everyone who has pre-registered, we will
20 call upon anyone else who's interested that would like
21 to offer comments for the record. I will also ask, if
22 you can, to speak directly into the microphone.
23 Tonight's hearing is being recorded, and that will
24 certainly help with that.

25 With that I will start with an opening

1 statement. As I stated, my name is Patrick Henderson.
2 And I am representing Senator Mary Jo White, who is a
3 member of the Environmental Quality Board, and I call
4 this hearing to order at 5:00 p.m. The purpose of
5 tonight's hearing is for the Environmental Quality
6 Board, or EQB, to formally except testimony on the
7 proposed regulations concerning wastewater treatment
8 requirements.

9 In addition to this hearing, the EQB held
10 similar hearings on this proposal in Cranberry
11 Township this past Monday and in Ebensburg on Tuesday,
12 December 15th. The EQB will also hold an additional
13 hearing on the proposed rulemaking tomorrow, Thursday,
14 December 17th in Allentown.

15 The proposed rulemaking, which was
16 approved by the EQB on August 18th, 2009 establishes
17 effluent limits for new or expanded sources of
18 wastewaters containing high concentrations of total
19 dissolved solids or TDSs. The proposed regulations
20 apply to new wastewater discharges that did not exist
21 on April 1st, 2009 and that contain TDS concentrations
22 greater than 2,000 milligrams per liter or a TDS
23 loading that exceeds 100,000 pounds per day. For
24 purposes of this rulemaking, a new wastewater
25 discharge includes an additional discharge, an

1 expanded discharge or an increased discharge from a
2 facility in existence prior to April 1st, 2009. The
3 proposed rulemaking also establishes monthly average
4 discharge limits of 500 milligrams per liter of TDS,
5 250 milligrams per liter of total chlorides, and 250
6 milligrams per liter of total sulfates for all new
7 discharges of wastewater with high TDS. Additionally,
8 new discharges of wastewater resulting from
9 fracturing, production, field exploration, drilling,
10 or completion of oil and gas wells must also meet a
11 monthly average discharge limit of ten milligrams per
12 liter for barium and strontium.

13 The Department initiated extensive
14 outreach in the development of this proposed
15 rulemaking, including presenting the rulemaking for
16 review and comment to the water resources advisory
17 committee at several meetings in the summer of 2009.

18 In order to give everyone an equal
19 opportunity to comment in this proposal, I would like
20 to establish the following ground rules for tonight's
21 hearing. First, I will call upon the witness who have
22 pre-registered to testify at this hearing. After
23 hearing from those witnesses, I will provide any other
24 interested parties with the opportunity to testify as
25 time allows. Testimony is limited to ten minutes for

1 each witness. Organizations are requested to
2 designate one witness to present testimony on its
3 behalf. Each witness is asked to submit three written
4 comments of his or her testimony, if available, to aid
5 in transcribing tonight's hearing. Please hand me
6 your copies, if you have them, prior to presenting
7 your testimony. Please state your name, address and
8 affiliation, if any, for the record prior to
9 presenting your testimony. We would appreciate your
10 help in spelling any names or terms that may not be
11 generally familiar, so that the transcript may be as
12 accurate as possible.

13 Finally, because the purpose of this
14 hearing is to receive comments on the proposal, the
15 EQB and DEP staff may question witnesses, however the
16 witness may not question the EQB or the DEP staff.

17 In addition to, or in place of oral
18 testimony presented at today's hearing, interested
19 persons may also submit written comments on this
20 proposal. All comments must be received by the EQB on
21 or before February 12th, 2010. Comments should be
22 addressed to the Environmental Quality Board, P.O. Box
23 8477, Harrisburg, Pennsylvania, 17105. Comments may
24 also be emailed to RegComments@state.pa.us. And I
25 will repeat both of those later in tonight's hearing

1 so that you have that.

2 All comments received at this hearing, as
3 well as written comments received by February 12th,
4 2010 will be considered by the EQB and be included in
5 a common response document, which will be prepared by
6 DEP and reviewed by the Environmental Quality Board
7 prior to the Board taking its final action on this
8 regulation. Anyone interested in receiving a copy of
9 the transcript of today's hearing may contact the EQB
10 for further information.

11 With that, I will call the first witness,
12 and I will try and call the next three or four
13 witnesses so that you can anticipate when your time is
14 scheduled. We have 20 witnesses who have
15 pre-registered tonight. Our first witness is Deborah
16 Nardone with the Pennsylvania Trout Unlimited to be
17 followed --- and I apologize if I mispronounce any
18 names. Please feel free to correct me as you come up.
19 But Alan Sever and Ned Wehler will be the following
20 two, but first, Deborah Nardone. Thank you.

21 MS. NARDONE:

22 It's always fun to be the first. I guess
23 I should have waited to call a little longer. Deborah
24 Nardone, 450 Robinson Lane, Bellefonte, Pennsylvania,
25 16823. The Pennsylvania Counsel of Trout Unlimited is

1 the nation's leading cold water conservation
2 organization and is dedicated to conserving,
3 protecting and restoring Pennsylvania and North
4 America's cold water fisheries and their watersheds.
5 We have over 12,000 members in Pennsylvania working at
6 the grassroots level, and we wish to present' these
7 comments on the proposed changes to Chapter 95.

8 Grassroots organizations and agencies
9 have worked for decades to clean up waters of the
10 Commonwealth. We have spent billions of dollars to do
11 so and millions of man hours. Why would we allow
12 these efforts to go to waste? Should we really max
13 out the assimilative capacity of our streams now that
14 we've finally cleaned them up? We don't think so.

15 Pennsylvania TU feels that an end of pipe
16 discharge limit set by Pennsylvania DEP is a necessary
17 tool, will aid in protecting water quality, will
18 provide a more stringent way to protect the designated
19 uses of a stream. The proposed Chapter 95 standards
20 place an important tool in DEP's toolbox by requiring
21 the burden of treatment and the requirement of water
22 quality protection to that of the pollution discharger
23 and not on the downstream users.

24 Pennsylvania TU is supportive of
25 regulations and policies which better regulate

1 wastewater and are protective of water quality and
2 their designated uses as codified in Chapter 95. We
3 understand that the Pennsylvania DEP has set these
4 protective criteria based on sound science and the
5 best available technology. We understand that the
6 technology is available to implement and effectively
7 regulate end of pipe discharges that meet the proposal
8 of 500 milligrams per liter for total dissolved solids
9 and 250 milligrams per liter each for sulfates and
10 chlorides.

11 These standards will go a long way in
12 ensuring federal drinking water standards are met
13 across the state. And it is critical that any TDS
14 wastewater effluent standard be protective of both
15 drinking water and aquatic life. The DEP should not
16 weaken the proposed discharge standards for TDS, and
17 regulation at the point of discharge will definitely
18 be helpful in assuring for the protection of aquatic
19 life. We believe the proposed regulation is a welcome
20 and necessary means to prevent impairment and ensure
21 that a TMDL process is not required.

22 In fact, in some cases a more stringent
23 criteria might be necessary depending on the
24 downstream dilution capacity and aquatic life and
25 public health protection criteria that's established

1 in Chapter 93. We believe that in order to ensure
2 protection of both drinking water and aquatic life
3 standards, the TDS effluent standard should be stated
4 as a daily maximum, not a monthly average, all large
5 TDS sources should be covered by the standard, new
6 sources and new discharges at existing wastewater
7 facilities should be required to meet the TDS
8 standards immediately. Existing sources of large TDS
9 discharges should eventually be covered through the
10 NPDES renewal process. How TDS will be measured and
11 reported by discharges needs to be clarified by the
12 Pennsylvania DEP.

13 We also need these regulations to be in
14 place as soon as possible to protect both aquatic life
15 and drinking water sources. We feel that DEP should
16 stop issuing drilling permits which will increase the
17 existing wastewater loads in Pennsylvania until both
18 Chapter 93 and Chapter 95 revisions are in place. DEP
19 must take measures to ensure that wastewater influent
20 is adequately characterized and properly sampled to
21 match those of its effluent sampling requirements. A
22 minimum of at least a dozen prescreening events would
23 ensure sampling averages that would provide realistic
24 assessment of the composition of any influent.
25 Adequate staff and funding should be in place to

1 ensure that wastewater effluent is meeting the Chapter
2 95 regulations.

3 We also feel that the current set of
4 regulations and policies currently are not adequate to
5 regulate groundwater and surface water impacts and
6 that contamination is occurring from all aspects of
7 drilling operations. Continued permitting of well
8 pads, production wells and pipelines, particularly in
9 our Exceptional Value and High Quality Watersheds, is
10 without effective regulations and regulations that
11 should require monitoring wells, design standards and
12 surface in groundwater protection plans. And this is
13 not fulfilling the Commonwealth's stewardship
14 responsibilities as required by the Constitution.

15 We also feel that if and when proposed
16 rule is redrafted, the Department should afford the
17 public another opportunity for public comment prior to
18 any adoption. Any redraft must effectively address
19 the protection of groundwater resources from the
20 pollutants found in gas development wastewater in a
21 manner which focuses first and foremost on the
22 receiving stream and adequately controls wastewater
23 pollutants of concern. The Commonwealth has the duty
24 and the authority to meet these much needed regulatory
25 changes to protect aquatic life and human health.

1 Thank you.

2 CHAIR:

3 Thank you. Alan Sever, Sever
4 Engineering.

5 MR. SEVER:

6 My name is Alan Sever. I'm a
7 professional engineer. I live at 516 Sand Hill Road,
8 Montoursville, Pennsylvania. I worked for DEP for 31
9 years before I retired, now I do consulting work in
10 various wastewater treatment systems. And I wanted to
11 comment on a proposed rulemaking whereby Chapter 95
12 would assign effluent limits on certain parameters for
13 specific discharges of wastewater that would occur
14 after April 1st, 2009.

15 First of all I would like to remind the
16 Board that this matter was addressed by the Board in
17 2001, and the Environment Quality Board amended
18 Chapter 96 on November 20th, 2001. The public notice
19 for that amendment notes that the Board determined
20 there was no reason to assign statewide effluent
21 limits for total dissolved solids, chloride or
22 sulfate.

23 Except for certain isolated incidents on
24 specific streams, the Pennsylvania DEP has not shown
25 that these parameters are causing any problems

1 statewide, and the Board's determination of November
2 20th, 2001 appears to be still valid.

3 If the Pennsylvania DEP is finding
4 specific discharges that have caused problems on
5 certain waterways or may cause problems, Pennsylvania
6 DEP can address those problems by assigning site
7 specific water quality based effluent limits. The
8 waterways in the state of Pennsylvania are too diverse
9 to attempt to place stringent effluent limits on all
10 discharges without adversely economically affecting
11 some facilities. A discharge into the Brackish water
12 of the lower Delaware surely does not need a TDS limit
13 that would be assigned on a wild trout stream in
14 northern Pennsylvania. It is recommended that the
15 Pennsylvania DEP continue to write effluent limits as
16 they always have based on protection of the receiving
17 waters and not by assigning arbitrary effluent limits
18 that are not economically achievable.

19 Besides using water quality based
20 effluent limits, it is also recommended that the
21 Pennsylvania DEP use real-time water quality limits.
22 That is assign higher discharge rates when the
23 receiving waters are at high water stages, and assign
24 lower or no discharge when the receiving stream is dry
25 or almost dry. Pennsylvania DEP has written such

1 limits for specific cases such as Westfield Tanning in
2 Westfield Borough in Tioga County for discharges to
3 the Cowanesque River. There's high discharge rates
4 when the stream is high, no discharge when it's low.

5 One other issue with the proposed
6 regulations is the arbitrary assigning of a date,
7 April 1st, 2009, after which all discharges are,
8 quote, new sources, quote, and must meet more
9 stringent limitations than existing discharges. The
10 Pennsylvania DEP proposes to assign stringent effluent
11 limits because the water quality of certain streams is
12 being adversely affected. They then proposed to
13 grandfather to facilities that are causing the
14 existing problems and only assigned new stringent
15 limits to facilities who did nothing to create the
16 problem. If there's a problem, then all discharges
17 should have to meet these limits. I find it
18 particularly upsetting to note that Pennsylvania DEP
19 purposely issued a new NPDES permit, PA 0101508 to
20 Pennsylvania Brine several days prior to the April
21 1st, 2009 deadline in order to protect this company
22 from having to meet new limits.

23 And I've discussed this matter with the
24 staff of the northwest region, and they informed me
25 that PA Brine will be grandfathered. Competitors of

1 PA Brine will have to meet a chloride limit of 250
2 parts per million while PA Brine has an effluent limit
3 of 84,600 parts per million. The limit assigned to PA
4 Brine is a water quality based effluent limit, and I
5 think their competitors deserve to also have their
6 effluent limits assigned by similar standards.

7 CHAIR:

8 Thank you. Our next witness is Ned
9 Wehler to be followed by Jim Weaver and Nathan Sooy.
10 Mr. Wehler? Is Jim Weaver available?

11 MR. WEAVER:

12 For the record, my name is Jim Weaver.
13 I'm the Tioga County planner in Wellsboro,
14 Pennsylvania. My address is 118 Main Street. The
15 confusion that we have right now with the water
16 quality in the state, and using Dunkard Creek as an
17 example, I think that we all need to start paying
18 attention closer, and these new standards that DEP is
19 proposing are perfectly appropriate. Tioga County has
20 a lot of exceptional value streams and some
21 exceptional wild trout streams that we really think
22 are important to protect. We've spent years dealing
23 with the intergenerational tyranny of timber
24 extraction, coal extraction, brine extraction and now
25 natural gas and wind extraction. We can do our part

1 in this country to provide clean and very sweet
2 natural gas with only one carbon atom, but we should
3 not do it at the expense of our water quality or the
4 quality of life. The current number of wells in Tioga
5 County puts us at three for the state. We're number
6 three. We've got a lot of wet-gas wells being
7 drilled. We have a lot of impact from traffic.
8 There's a lot of impact on our community and our
9 landscapes definitely showing the impact of the
10 drilling.

11 The specifics that I want to address
12 tonight really concern the assimilative capacity of
13 our major rivers and streams. And during the process
14 of development of these standards, DEP kept the public
15 pretty well informed about the concerns that they had
16 with the assimilative capacity of the river. And we
17 all learned in school that the solution to pollution
18 is not dilution. The current method for dealing with
19 total dissolved solids is not a solution for the
20 problem. And we have not changed the way we do
21 business with these industrial processes since the
22 beginning of the clean water laws and before. It is
23 time to look at our watersheds from a new paradigm,
24 not as a source of raw materials, but as the
25 foundation of our life support system.

1 We do support the proposed changes to
2 Chapter 95 to set the effluent limits for total
3 dissolved solids at 500 milligrams with 250 for
4 sulfates and 250 for chlorides. The caveat to that is
5 that we still don't know the lower limit of total
6 dissolved solids for the synergistic effects of the
7 golden algae community dynamics in our streams and the
8 impact that that's caused at Dunkard Creek. To watch
9 the expansion of another invasive species, probably
10 brought here from Texas, based on this incomplete
11 science, warrants invoking the precautionary
12 principle.

13 There is danger in the flexibility of the
14 proposed changes to Chapter 93 and individual water
15 quality based effluent limits. These limits and
16 standards must be implemented with clear guidance on
17 improving those streams poorly adapted to or that
18 already suffer from high total dissolved solids. This
19 will require strict biological monitoring of the
20 receiving waters to ensure continue improving
21 ecosystem health and integrity. An example is the
22 Tioga River in my county with severe acid mine
23 drainage impacts and a dedicated citizen's
24 organization in the beginnings of a massive cleanup.
25 It would be a shame to lose the momentum with high

1 chlorides to add to the sulfates from the old mines.

2 Just this week, my office received an Act
3 14 notice from a company that proposes a frac water
4 treatment facility on this river. A potentially
5 devastating outcome can be envisioned. This is one of
6 the many similar stories across the coal country of
7 Appalachia, let's not create or allow another Dunkard
8 Creek massacre. Thank you.

9 CHAIR:

10 Next we have Nathan Sooy, Clean Water
11 Action, to be followed by Jon Bogle and Ann Harris
12 Katz.

13 MR. SOOY:

14 My name is Nathan Sooy. That's spelled
15 S-O-O-Y. I'm the Central Pennsylvania campaign
16 coordinator for Clean Water Action. We're a statewide
17 environmental organization with over 150,000 members.
18 And this very night members of our organization are
19 out knocking on doors throughout Pennsylvania, and
20 folks are joining Clean Water Action this very night.
21 Good evening. All across Pennsylvania, natural gas
22 companies are rushing to drill new gas wells to
23 extract gas deposits in the Marcellus Shale, which
24 runs beneath most of our state one mile down. While
25 energy companies are excited about this new revenue

1 stream, Pennsylvania streams and rivers are left with
2 a huge problem, the highly toxic wastewater from the
3 gas drilling process. Marcellus wastewater contains a
4 mix of heavy metals, including arsenic and lead, toxic
5 chemicals such as benzene that can cause cancer, and
6 salts. This wastewater is generally three to six
7 times saltier than seawater and has already changed
8 freshwater streams in Pennsylvania into salt water
9 environments.

10 Currently the Pennsylvania Department of
11 Environmental Protection, DEP, has been allowing
12 drillers to dump their wastewater with little
13 treatment and sometimes with none at all. However,
14 the DEP has proposed new standards for Marcellus
15 wastewater, which would finally require real
16 wastewater treatment prior to any discharges into our
17 drinking water supply.

18 The oil and gas industry, the coal
19 companies, big manufacturing in the Pennsylvania
20 Chamber of Commerce have been working hard to maintain
21 status quo. The status quo for oil and gas is this,
22 frac water released to streams and rivers untreated.
23 Believe it or not that is what industry
24 representatives have been arguing for in Harrisburg.

25 Part of my work with Clean Water Action,

1 I've attended meetings in Harrisburg where industry
2 representatives have lobbied John Hines, the top water
3 official for DEP. They've been ganging up on John
4 Hines and his boss, DEP Secretary John Hanger. At the
5 last meeting I attended in Harrisburg, John Hines
6 indicated that the final regulations crafted for
7 wastewater may not be the strong ones the DEP started
8 with.

9 DEP may be starting to crack, but we
10 cannot let them crack. We have some absolute
11 principles that need to be honored. Our rivers in our
12 communities should not be held hostage to Marcellus
13 Shale industry, greed and neglect. We need to take
14 our stand for clean and safe water in rivers for our
15 families. Special interest should not and must not
16 carry the day. The leadership of the oil and gas work
17 group of the statewide campaign for clean water, a
18 coalition of over 140 groups, has put together the
19 following principles that we think need to be followed
20 by DEP and the environmental quality Board as they
21 consider the regulations that will determine how frac
22 wastewater and other examples of TDS are handled.

23 Our clean water agenda for action is, we
24 need safe drinking water. DEP's proposal will go a
25 long way towards ensuring that our drinking water

1 supplies will not have unsafe levels of total
2 dissolved solids. DEP should not weaken their
3 proposed discharge standards for TDS. Two, we need
4 these regulations to be in place as soon as possible
5 to protect our rivers and drinking water. DEP should
6 stop giving out more drilling permits until wastewater
7 rules are in place. DEP should also stop allowing
8 existing or proposed wastewater plants to pollute our
9 rivers unless they follow these new rules.

10 Number three, DEP should add discharge
11 standards for these contaminate that are frequently
12 found in Marcellus Shale gas drilling wastewater.
13 These would include bromides, arsenic, benzene,
14 radium, magnesium and possibly others. Many of these
15 contaminates are very difficult for drinking water
16 systems to remove

17 Number four, DEP needs to ensure that all
18 aspects of the generation of Marcellus wastewater are
19 regulated. Currently there are no requirements to
20 track wastewater from drilling sites to treatment
21 plants. And there's no oversight over the reuse of
22 Marcellus wastewater. The campaign for clean water
23 has filed technical comments with the EQB, but while
24 we think that's important, we do not think that this
25 battle will be won or lost on technical issues. This

1 is a fight over broad priorities. Will the oil and
2 gas industry profits prevail, or will our rivers'
3 water actually be valued, or are profits the ultimate
4 value in Pennsylvania? Ultimately, the powers that be
5 will assess how the political winds are blowing. Each
6 of us attending and those testifying here today need
7 to be talking about what is really at stake and at
8 risk in Pennsylvania with Marcellus Shale. It is not
9 a narrow set of issues about regulations, rather it is
10 about what we as Pennsylvanians will ultimately value,
11 our families and our rivers, or fleeting profits.
12 Thank you very much.

13 CHAIR:

14 Jon Bogle?

15 MR. BOGLE:

16 My name is Jon Bogle. I live in downtown
17 Williamsport. The issue under discussion is
18 essentially an economic issue, not an environmental
19 one. Should Pennsylvania give the gas industry an
20 economic concession allowing it to save money by
21 degrading the water quality in Pennsylvania's rivers?
22 The environmental aspects of this question are already
23 settled. Putting millions of pounds of salts and
24 chemicals into Pennsylvania rivers every day has
25 proven to be detrimental to river environments and bad

1 for human health. The amount of total dissolved
2 solids, salts, in the Monongahela River has exceeded
3 safe drinking water standards two years running.
4 Bromides, a gas industry wastewater constituent, forms
5 carcinogenic secondary chemicals, when mixed with
6 disinfectants in water treatment plants. When the
7 Monongahela was over its TDS limits, health alerts
8 were issued to water users because of bromide
9 concentrations.

10 The Susquehanna River Basin Commission
11 has estimated that by 2011, the gas industry will
12 generate 20 million gallons of wastewater a day. Each
13 gallon contains more than a pound of TDS, primarily
14 again salts. Without DEP stepping forward 20 million
15 pounds of salt will go into PA rivers each day, much
16 of it into the west branch which has 11 NPDES
17 discharge permits pending. The west branch is already
18 challenged with high levels TDS due to mine drainage.

19 In April, DEP issued a proposed strategy
20 to greatly reduce TDS discharges at new facilities
21 starting in January 2011. Gas drilling and mining and
22 manufacturing industries are opposing these new
23 standards because treating their own wastewater will
24 cost them money and reduce their profits. For more
25 than 100 years, mining wastewater has damaged

1 Pennsylvania rivers. The large volume of new high TDS
2 wastewater from the gas exploration industry will
3 likely be the tipping point in many rivers as it was
4 in the Monongahela. One does not need to be an
5 environmentalist to oppose normal gas industry
6 practices.

7 A trip through the coal regions will show
8 what pollution from an unregulated extractive industry
9 can do to the economic future of a region. The gas
10 exploration industry is not an additive industry, but
11 will displace already vital aspects of the current
12 economy. Tourism, Pennsylvania wilds, agriculture and
13 property values will all be impacted. It is unclear
14 at the end of the day if gas exploration will provide
15 a net gain or a net loss. Let's remember that the
16 coal industry ended up being a large net loss.

17 The size of Pennsylvania's industries
18 that will be impacted is surprising. In regions where
19 gas drilling is underway, the travel industry spends
20 twice as much and employs three times the number of
21 people as the gas industry. The gas industry spent
22 \$2.44 billion dollars just for the rights to drill in
23 the Arctic Ocean off the north slope of Alaska. One
24 of the most hostile and isolated environments on
25 earth. The floating platforms they drill from are

1 leased \$400,000 to \$600,000 a day. Exploration in the
2 Gulf of Mexico and the North Sea are both very
3 expensive and under very strict environmental
4 regulation. The Marcellus Shale has the lowest shale
5 exploration cost in the country. It produces high
6 quality gas, which fetches a premium for being near
7 the major east coast markets. Despite successfully
8 drilling in a very expensive and highly regulated
9 environments, the industry now contends that they
10 can't drill profitably in Pennsylvania if they are not
11 allowed to pollute our rivers.

12 The DEP proposed strategy is a solid move
13 in the right direction. The DEP needs to stick to its
14 guns.

15 CHAIR:

16 Our next witness is Ann Harris Katz to be
17 followed by Harvey Katz and Ned Wehler.

18 MS. HARRIS KATZ:

19 My name is Anne Harris Katz, and I live
20 at 445 Shady Knoll Road, Montoursville. I'm a
21 professional biologist retired from a career in
22 academic science, and I'm testifying today not only
23 from the perspective of a scientist, but also from
24 that of a person who chose to live in this area of a
25 country because of the natural beauty and the

1 combination of serenity and recreation this offers.

2 When my husband and I could afford to
3 retire from paid work and devote our energies and
4 expertise as to volunteering in our community, we
5 realized that careers no longer governed where we
6 would live. We spent several years searching for the
7 area in the U.S. that best suited how we wanted to
8 spend the next part of our lives. We chose Lycoming
9 County, Pennsylvania, and for nearly 20 years we've
10 been very satisfied with that choice.

11 Now, however, we are seriously
12 questioning whether that was wise. The natural gas
13 industry's operations could change the landscape, the
14 pristine environments, the area's small town
15 atmosphere and the confidence that residents' health
16 and safety are adequately protected from the short and
17 long-term hazards of gas drilling and extraction.
18 Pennsylvania should follow New York's lead in being
19 particularly careful before permitting drilling
20 activities in key environmental areas and in places
21 crucial to the economy of tourism. Degrading these
22 areas is not cost effective for the taxpayers because
23 the income generated by drilling will not outweigh
24 that lost in environmental cleanup, lost real estate
25 values, both personal and corporate, and in tourism no

1 longer viable due to pollution and desecration of
2 landscapes and recreational areas.

3 Pennsylvania's DEP current proposal to
4 regulate discharges of dissolved solids into streams,
5 that's TDS, into streams rivers and lakes is long
6 overdue, but industry and pro-development groups have
7 labeled it ill-advised and too expensive. That is too
8 expensive for their huge corporate bottom lines. Some
9 in the industry have said that the proposal is not
10 based on sound science and that the standards in place
11 now will not damage the environment in any critical
12 ways. This is a failure on the industry's part to
13 understand or to acknowledge that the discharges in
14 question constitute damaging pollutants.

15 The proposed new standards will decrease
16 the amount of pollution and, in this instance less, is
17 better. The industry argument is not true questioning
18 of science, but rather a smoke screen to maintain the
19 status quo, which has already been shown to be
20 unacceptably high in some of Pennsylvania's waterways,
21 particularly in the Pittsburgh area. And you've heard
22 from several speakers about this. As a biologist
23 trained in physiology, I do not question the validity
24 of lowering the permitted amount of TDS discharges as
25 a way to protect the environment health and safety.

1 That is sound science.

2 I'm also concerned that there has been
3 little, if any, discussion about the human health
4 index of high TDS discharges into waterways from which
5 drinking water will be drawn. Salt comprises a major
6 part of the Marcellus Shale drilling fluid and also
7 ends up as a nature component of TDS discharges, as
8 you all have heard by several speakers. Salt intake
9 has been shown to be directly related to risk or
10 stroke and cardiovascular disease. The latest of the
11 many studies supporting this relationship was
12 published in the November issue of the British Medical
13 Journal.

14 I want to speak in support of others who
15 have raised concerns about additional specific
16 contaminants in Marcellus Shale gas drilling fluid.
17 These include bromides, arsenic, benzene, radium,
18 magnesium and more. They're not only dangerous
19 environmentally and medically, but many of these
20 contaminants are very difficult for drinking water
21 systems to remove. We should not be putting people's
22 health in jeopardy from drinking public water in
23 exchange for the revenues that gas drilling may bring.
24 It can be said that public drinking suppliers must
25 ultimately be responsible for treating the water, but

1 the cost to the public for such treatment, may not be
2 outweighed by the public economic benefit from gas
3 extraction. Less is more. Is the newly proposed
4 lesser amount for TDS discharges biologically and
5 medically appropriate? That is, is it sufficient to
6 be protective?

7 Finally, I have concerns that there
8 appears to be a lack of coordination between DEP's
9 discharge permitting and the Susquehanna River Basin
10 Commission's oversight of water withdrawals.
11 Environmentally and medically we cannot afford to
12 increase the pollutions, including the solidity of our
13 major waterways further by withdrawing unpolluted
14 water only to replace its volume with fluid polluted
15 with high TDS substances. If water withdraws continue
16 at the current pace and increase at levels predicted
17 by the gas industry, that process alone will degrade
18 the quality of our waterways. And that's another
19 reason to keep the TDS discharge standards as low as
20 possible.

21 Here's my personal and professional
22 bottom line. Less is best. The TDS standards
23 currently in place must be changed to force less TDS
24 discharge. DEP must not back down under the pressures
25 from the oil and gas industry reps. DEP must not

1 waiver in its commitment to protect the health, safety
2 and environment for all Pennsylvanians. Thank you.

3 CHAIR:

4 Harvey Katz.

5 MR. KATZ:

6 My name is Harvey Katz. I live at 445
7 Shady Knoll Road, Montoursville, Pennsylvania. Though
8 I am currently retired, I spent my career as a
9 fisheries biologist and worked initially as a marine
10 biologist and later with large and small riverine
11 freshwater systems. The planet we live on provides
12 the basic resources of air, water and soil. These
13 three contributions are what make our planet able to
14 support life, which includes humans. The National
15 Aeronautics and Space Administration recently
16 announced that they were embarking on a long-term
17 project to see if they can find a way to make the
18 planet Mars, a dead and lifeless planet, into one that
19 would sustain life. On this globe, we have a society
20 and a business community that's trying its best to
21 make our planet earth, that sustains life, into a dead
22 and lifeless one.

23 This hearing is to gather comments from
24 all parties concerning the discharge of water
25 containing salt into the Commonwealth's waterways.

1 These salts are soluble in water and thus are referred
2 to as total dissolved salts or TDS. A fundamental
3 point is that these receiving waterways are freshwater
4 rivers and streams. The living component or biota
5 residing in our rivers is genetically programmed to
6 live in freshwater. Now, the natural gas well
7 drilling industry is requesting that they be allowed
8 to change this freshwater system into a low saltwater
9 or estuarine system. There are more than a hundred
10 years of scientific research showing that freshwater
11 organisms either die or do not function well in the
12 presence of saltwater. The industry is requesting
13 that they be allowed to discharge their salt laden
14 wastewater with little thought to the damage that the
15 salt will have on freshwater critters.

16 Now the Pennsylvania Department of
17 Environmental Protection is suggesting that some salt
18 be allowed to be discharged by natural gas industry.
19 That is the DEP is considering allowing the natural
20 gas industry to use our waterways as trash or waste
21 receptacles. This is nothing more than catering to
22 the industry by allowing them to externalize their
23 cost. That is they avoid the cost of properly
24 disposing of their waste and force other members of
25 the public and business community to bear that cost.

1 That cost, for example, includes water supply
2 companies having to pay additional dollars to clean up
3 the drinking water that they send to their customers.
4 If the water companies deliver to their customer's
5 water with additional TDS, then the people who drink
6 that water will likely experience physiological
7 problems that they would normally not have. This in
8 turn is expected to result in additional medical
9 expenses for those drinking TDS laden water.

10 As freshwater biota become impacted by
11 salt, the ecology of the rivers change. Fish that are
12 dependent on a functioning healthy web of life may not
13 be able to survive. This means that a multi-million
14 dollar fishing industry may be put at risk. And for
15 what purpose? So that the natural gas industry can
16 avoid a legitimate expense. If the natural gas
17 industry is allowed to avoid this cost, then the rest
18 of the business community should be given the same
19 opportunity. In this case, businesses can externalize
20 the cost of properly disposing of their wastes and
21 save substantial money by being allowed to dump their
22 trash into our waterways.

23 The DEP is suggesting that the natural
24 gas well industry be allowed to discharge TDS liquids
25 as long as the waterway does not exceed 500 milligrams

1 per liter TDS. What we know from other studies is
2 that this TDS level can easily increase to 1,000
3 milligrams per liter. A recent experience in the
4 Monongahela River demonstrated how fast this can
5 happen. In Dunkard Creek, a massive fish, mussel and
6 other biota kill occurred. A recent analysis by the
7 environmental protection agencies attributed the kill
8 to a toxin produced by a flagellated phytoplankton
9 that goes by the common name, golden algae. DEP had
10 pointed out that TDS levels as low as 750 milligrams
11 per liter were all that is needed to provide the
12 proper conditions for this algae to flourish. The
13 essential point here is that there is only a thin
14 difference between the 500 milligrams per liter
15 proposed by DEP and the 750 milligrams that allows the
16 right conditions for the salt loving golden algae to
17 grow. This is a razor thin difference that will
18 essentially be unenforceable by DEP even with the
19 proposed River Alert and Information Network water
20 quality system that the regulators are planning to
21 install. The bottom line here is that the industry
22 should be held to account by not allowing them to
23 avoid a cost that is properly theirs.

24 Pennsylvania residents are burdened with
25 the cost of earlier business enterprises not paying

1 for their garbage. Today taxpayers are saddled with
2 the cost of dealing with legacy settlements, acid mine
3 drainage, acid rain, coal spoils, nutrient loads,
4 topsoil runoff, oil and grease from vehicles, gasoline
5 and diesel spills, home heating oil spills, loss of
6 clean water by consumptive water users, pesticide,
7 herbicide, fungicides from the farming and home garden
8 users and the impact of flash floods due in part to
9 hard-topping 14 percent of the state.

10 All of the above are in addition to the
11 floodplain issues, the concentrated animal feedlot
12 operation issues, the application of road salts,
13 introductions of pharmaceuticals through our sewage
14 treatment plants and the planned introduction of
15 compounds such as Biomist 3 plus 15 and Pyroicide 7396.
16 Add to all of the above, the illegal dumping into our
17 waterways that the regulatory agencies are trying to
18 control.

19 Over the past 22 years I've been
20 observing Pennsylvania waterways. And I've seen the
21 day-glow green streams and creeks in western
22 Pennsylvania. I've walked the small runs near and in
23 our cities and seen the rubber tires and shopping
24 carts littering these systems. I've smelled the
25 solvent typical of paint thinners that pervade small

1 runs. I've seen orange colored brooks. I've seen
2 runs that disappear into pipes. I have seen coldwater
3 streams become warm water systems because the riparian
4 vegetation's been cut down or we're seeing thousands
5 of small ponds built on what was once a free-flowing
6 system.

7 I read scientific reports and talk to
8 members of the scientific community about problems
9 highlighted by bat white-nose syndrome with exotic
10 invasive species such as Asian carp, now in the
11 Mississippi, with Gypsy moth, Emerald ash borer, and
12 Zebra mussels just to name a few. Today we have more
13 than a thousand super-fund sites in the United States.
14 In Pennsylvania burner barrels still burn trash,
15 outdoor furnaces are an issue, and if you fly in an
16 airplane or helicopter at about 3,000 feet, 500 feet
17 above sea level, you can observe the ring around the
18 sky. Most people are not aware of this pollutant
19 phenomenon. And in the meantime we trash our skies
20 with increasing concentrations of carbon dioxide. I
21 could go on and on with documented instances of fish
22 that become ulcerated, with gender change in
23 Pennsylvania fish, with other fish kills, with
24 amphibians missing limbs or having extra limbs, with
25 the loss of clams and mussels that were once common,

1 with the loss of anadromous fish species that were
2 once so common in our rivers they were considered
3 undesirable species.

4 Forest fragmentation of 4.999 acres for
5 each natural gas well drilling site placed in our
6 forest occur at increasingly faster rates. Add to
7 this, the clearing of forests for water basins and
8 roads that piece by piece tear apart our environment.
9 Pennsylvania's northern tier is the state's last
10 remaining large forest system. This Pennsylvania's
11 Wilds could have become a national park and a major
12 recreational area for the urban/city dwellers looking
13 for respite from the stresses of living in built-up
14 areas. Instead we are about to give our grandchildren
15 the dregs of a once magnificent natural resource. We
16 do this by giving up the green of the natural
17 environment for the green of the money. This is the
18 same natural environment that currently is supplying
19 us with the quality air, water and soil we need to
20 survive. To kill off the natural environment like
21 this is to kill off our golden goose.

22 Glimmers of sanity appear as regulatory
23 agencies try to protect the public health dealing with
24 past uses of lead, DDT, asbestos, hexavalent chromium,
25 PCBs, dry cleaning solvents and gasoline additives.

1 The business community has left a large contamination
2 legacy for their descendants, the children and
3 grandchildren to bear the dollar cost in the effort to
4 clean up.

5 It is time to require the business
6 community to pay the cost of the waste and the trash
7 they produced and tell them they cannot pass these
8 cost to the general public, the grandchildren and the
9 taxpayers. Many CEOs of the gas and oil industry are
10 receiving multi-million dollar pay packages. This
11 money could be used to pay for the proper cleaning up
12 of the waste that the natural gas industry produces.
13 In a sense these large pay packages are possible only
14 because the industry externalizes its cost by
15 transferring them to the public. Unless PADEP is
16 looking to make our freshwater rivers into estuarine
17 systems, no salt should be permitted to be discharged.
18 Thank you.

19 CHAIR:

20 Our next witness is Ned Wehler to be
21 followed by Lynn Weldon and Tanya Dierolf.

22 MR. WEHLER:

23 Thank you. My name is Ned Wehler. I'm
24 the chief executive officer of Arm Group, Incorporated
25 in Hershey, Pennsylvania. I am also the president of

1 a company named Keystone Clear Water Solutions,
2 Incorporated. I have a few comments concerning the
3 proposed Chapter 95 regulations concerning TDS
4 standards.

5 In April of 2008, on behalf of my water
6 treatment company, we met with representatives of the
7 Pennsylvania in Harrisburg concerning a permit
8 application to treat and discharge flow back water
9 derived from the Shale gas industry. At that time,
10 the department referred us to the oil and gas
11 wastewater treatment manual and gave us specific
12 directions as to how to prepare the permit
13 application, what its contents should be, what
14 information should be provided, et cetera. In
15 particular, the Department pointed out the Chapter 93
16 standards for respecting streams throughout the state
17 and pointed out that TDS may be subject to regulation
18 in the respective watersheds as described and with
19 respect to the procedure specifically described in the
20 oil and gas wastewater treatment manual. The
21 wastewater treatment manual specifically states that
22 permits issued for the discharge of treated wastewater
23 from the industry may be subject to north stringent
24 limitations for other parameters such as TDS.

25 The Department explained that in

1 conjunction with the Chapter 93 standards and any
2 special standards that may be established for TDS, a
3 permit could be issued. When asked about the time
4 frame for which a permit could be issued, the
5 Department responded that a Part 1 review could be
6 accomplished within 30 to 60 days.

7 At that time, we proceeded to submit two
8 applications for treated wastewater --- treatment
9 plants and discharge points. One located in Centre
10 County and one in Clinton County. One application was
11 submitted in May of 2008 and one application was
12 submitted in July of 2008. Since then, those
13 applications have not been acted on despite the
14 existence of stringent Chapter 93 standards.
15 Stringent provisions in those regulations and in the
16 oil and gas wastewater treatment manual. And the
17 explanations that have been provided by the Department
18 have been the Department is interested in moving
19 towards a more careful regulation of chlorides and
20 total dissolved solids in particular.

21 The comments that I would offer today are
22 as follows. The oil and gas industry is not new to
23 the Commonwealth. The oil and gas industry has been
24 here for a hundred years, has cooperated in a maximum
25 way with the Department, has cooperated extensively

1 over the last 18 months in providing information to
2 the Department and is interested in nothing more than
3 preserving the health and wellbeing of water quality
4 in streams in the Commonwealth, yet has no interest in
5 expending moneys needlessly to meet standards that can
6 otherwise be met by existing procedures.

7 The Department, in the implementation of
8 its Part I and Part II permitting procedure has for
9 many, many years relied upon an approach that allows
10 for assimilation respective of Chapter 93 standards
11 and respective of the low flows of the respective
12 stream for which the discharge is proposed. The
13 current proposal is basically a one size fits all
14 approach prescribing water quality at the end of pipe.
15 This is an unrealistic and unreasonable approach to
16 regulating TDS in the Commonwealth and will result in
17 the same approach for a small stream as would be
18 involved with the Ohio River, the Allegheny River, the
19 Susquehanna River, the Delaware River.

20 The Department's historical approach up
21 to the present and over the last ten years, for
22 example, has been to use water quality models such as
23 SW load and PENTOXSD relative to the Q710 flow of the
24 receiving stream, and with respect to water quality
25 intakes that may exist downstream, and with respect to

1 existing uses of water in those streams in order to
2 make permitting decisions.

3 Procedures that are in place in
4 conjunction with Chapter 93 standards, and in
5 conjunction with the recent standard established for
6 chlorides in Chapter 93 of 250 milligrams per liter,
7 serve as a reliable and safe and ecologically sound
8 basis for making permitting decisions going forward.
9 As such, the one size fits all approach of proposed
10 Chapter 95 is not necessarily --- is unjustified and
11 does not take into account, the permitting programs
12 that have been in effect and have worked successfully
13 for many years as described in various permitting
14 manuals and documents established by the Department.

15 We would suggest that the Department
16 reconsider the basis for the Chapter 95 regulations,
17 and in particular water quality characteristics of
18 receiving streams throughout the state and not relying
19 simply upon water quality information obtained from
20 certain parts of the Monongahela watershed. And
21 moreover, that the Department take into account the
22 recycling of flow-back water and wastewater generated
23 by this industry occurring today, which is on the
24 order of 80 percent recycling industry wide with some
25 generators achieving 100 percent recycling of

1 flow-back water and take a hurried approach to rushing
2 in a one size fits all Chapter 95 standard.

3 There's been lots of focus, of course, on
4 the oil and gas industry, yet this standard will, in
5 fact, affect other industries, including the chemical
6 industry, the pharmaceutical industry, the coal
7 industry, and the electrical utility industry in
8 Pennsylvania. So it would be our comment to be very
9 careful about the facts, make a decision based upon
10 them which is factually justified, take into account
11 the impact to other industries, and take into account
12 a realistic appraisal of existing water quality and
13 low flows of potential receiving streams. And then
14 rely upon existing procedures that will safeguard the
15 water quality of receiving streams throughout the
16 Commonwealth. Thank you very much.

17 CHAIR:

18 Thank you. Lynn Weldon? Tanya Dierolf,
19 PennFuture to be followed by Barbara Jarmoska and
20 Jerry Walls.

21 MS. DIEROLF:

22 Good evening. My name is Tanya Dierolf.
23 I'm the central Pennsylvania outreach coordinator for
24 Citizen's for Pennsylvania's Future, known as
25 PennFuture. PennFuture is a statewide public interest

1 membership organization with five offices throughout
2 the Commonwealth working from the promise that every
3 environmental victory grows the economy. We
4 understand that protection and restoration of our
5 environment stimulates a flourishing economy.
6 PennFuture's purposes include advocating and
7 litigating to protect public health and environmental
8 quality across the Commonwealth.

9 I am here today in support of the EQB's
10 proposal to amend Chapter 95 to establish effluent
11 standards for new sources of wastewaters containing
12 high concentrations of TDS. We also urge the EQB to
13 extend those proposed standards in two ways. First,
14 by eliminating the applicability thresholds of 2,000
15 milligrams per liter or 100,000 pounds per day. And
16 second, by making them applicable to existing sources
17 through the addition of a transition scheme.

18 Pennsylvania's rivers and streams provide
19 billions of dollars of direct and indirect economic
20 benefit to the Commonwealth's families, farms and
21 industries. Recent developments have shown such
22 benefits to be more a threat now than perhaps at any
23 time since clean water laws were strengthened in the
24 late '60s in response to persistent industrial
25 pollution. The new threat comes from wastewater from

1 manufacturing, abandoned and active mines and gas
2 drilling operations that produce wastewater laden with
3 TDS, which consists mainly of a variety of salts.

4 We've already heard tonight about the
5 Monongahela, so I won't repeat that, but we do know
6 that the Mon was already burdened with high TDS levels
7 due to discharges. We also heard tonight about
8 Dunkard Creed, so I won't repeat that. Over the next
9 several years development of the natural gas-bearing
10 shales in Pennsylvania threatens to exacerbate the
11 problems experienced in the Mon and Dunkard Creek and
12 to extend them to other rivers and streams throughout
13 the Commonwealth. PennFuture agrees with the
14 conclusion of the Pennsylvania Department of
15 Environmental Protection that it cannot protect the
16 quality of rivers and streams in this Commonwealth and
17 still approve any significant portion of the pending
18 proposals and applications for new sources of
19 discharge of high TDS wastewater that includes
20 sulfates and chlorides. We also agree that we cannot
21 continue to allow pollution to be used to allow
22 dilution to be used as a principle method of trading
23 wastewaters containing TDS.

24 However, contrary to the Department's
25 apparent belief that currently no treatment exists for

1 TDS sulfates and chlorides other than dilution, there
2 are several currently available treatment technologies
3 that can be used to meet the limitations in proposed
4 Section 95.1. Much of the high TDS wastewater
5 generated by sources other than Marcellus Shale gas
6 extraction can be treated by reverse osmosis. Indeed,
7 reverse osmosis is successfully used in thousands of
8 facilities around the world to extract solids from
9 seawater, which typically has TDS levels of
10 approximately 35,000 milligrams per liter, so that it
11 can be used for drinking and household purposes.

12 Although a reverse osmosis and other
13 conventional treatment technologies will generally not
14 be suitable to treat the extremely high TDS wastewater
15 often produced by Marcellus Shale gas extraction, GE
16 Water and Process Technologies and other companies are
17 advertising brine concentration, crystallization,
18 vapor-compression evaporation, and other distillation
19 technologies that are claimed to be suitable for
20 treating TDS wastewater shale gas extraction. Indeed,
21 on just this past Saturday, one of our local
22 newspapers reported that a joint venture formed by two
23 companies based in Kittanning was able to perform
24 onsite treatment of Marcellus Shale wastewater at a
25 site in northern Butler County using a patented

1 treatment system at a cost of about \$6 a barrel or
2 \$.14 per gallon, a cost that would seem to be
3 economically feasible.

4 PennFuture believes that by limiting the
5 TDS levels of discharges into Pennsylvania's rivers
6 and streams from new sources, the proposed amendment
7 to Chapter 95 will permit the Department to begin
8 addressing the threat that TDS poses to Pennsylvania's
9 rivers and streams. The proposed effluent standards
10 will help ensure that the cost of protecting the
11 state's streams and rivers from contamination by TDS
12 will be borne by those who generate the contaminate
13 rather than those who depend on clean water from
14 rivers and streams for recreation, agriculture,
15 industrial uses and drinking water.

16 The proposed amendments to Chapter 95 are
17 a good starting point, but they must go farther if
18 Pennsylvania's rivers and streams are to be truly
19 protected to the degree guaranteed under
20 Pennsylvania's Clean Streams Law and the Federal Clean
21 Water Act. The proposed effluent standards for new
22 discharges of high TDS wastewater should also be
23 extended in two ways. First, the concept of high TDS
24 wastewater and the related applicability threshold of
25 a TDS concentration of 200 milligrams per liter or a

1 loading of 100,000 pounds per day should be
2 eliminated. This change would be consistent with
3 other technology-based treatment standards. It also
4 would eliminate any inconsistency that the regulation
5 will permit in its current formulation, facilities
6 that discharge very low volumes of wastewater at
7 concentrations above 200 milligrams per liter will be
8 required to treat the discharge to 500 milligrams per
9 liter even though the TDS load adding to receiving
10 streams might be relatively insignificant, while
11 facilities that discharge high volumes of wastewater
12 at concentrations less than 200 milligrams per liter
13 will not be required to treat even though the amount
14 of dissolved solids are added to receiving streams
15 might be significant due to the high volumes of their
16 discharges.

17 Second, the proposed effluent standards
18 should apply to existing sources when their NPDES
19 permits are renewed or modified. Extending the
20 effluent standards to existing sources will not only
21 reduce the amount of dissolved solids discharged in
22 the Commonwealth's rivers and streams, but will also
23 level the regulatory and economic playing field
24 between new sources and existing sources of TDS
25 wastewater. Making all sources play by the same rules

1 would ensure that the cost of protecting the quality
2 of Pennsylvania's rivers and streams is not borne
3 disproportionately by new industries and operations
4 such as the shale gas industry, which is expected to
5 provide thousands of new skilled jobs in huge direct
6 and indirect economic benefits in Pennsylvania in the
7 coming years.

8 Further, by extending the effluent
9 standards to both existing and new discharges of TDS
10 wastewater we will strike then the demand for
11 treatments, solutions and technologies. PennFuture is
12 confident that the market will respond to suitable low
13 cost treatments, which should position Pennsylvania to
14 reap further job creation and economic benefits of
15 being a leader in supplying new treatment technologies
16 in both in the United States and around the world.

17 PennFuture will submit additional written
18 comments on various details of the proposed
19 rulemaking. In general, we believe the proposed
20 changes and additions to Chapter 95 are a positive
21 first step for Pennsylvania's citizens, farmers and
22 industries, but instead of being limited to new
23 sources of high TDS wastewater, the new effluent
24 standards should apply to all sources of wastewater
25 containing TDS. They should be applied immediately to

1 new sources of TDS wastewater without triggering
2 thresholds. And they should be extended to existing
3 source's of TDS wastewater upon renewal or
4 modification of a source's NPDES permit. Thank you.

5 CHAIR:

6 Barbara Jarmoska?

7 MS. JARMOSKA:

8 My name is Barbara J. Jarmoska, and I
9 live at 766 Butternut Grove in Montoursville. I
10 appreciate the opportunity to be here this evening and
11 to speak to you. On August 18th, the Environmental
12 Quality Board proposed to amend 25 PA Code Chapter 95
13 relating to wastewater treatment requirements. I'm
14 here tonight to ask that you accept that proposal and
15 pass and enforce those new regulations.

16 As you are aware, the existing practice
17 for high TDS wastewaters is to allow this water to be
18 returned to our rivers untreated for TDS, sulfates,
19 and chlorides. Treatment is merely dilution, and that
20 is left unaided to the river. As documented by the
21 rising levels of TDS in the waters of this
22 Commonwealth, the rivers are already in peril and
23 dilution can no longer be considered adequate
24 treatment for high TDS wastewaters.

25 We are entering a new era in

1 Pennsylvania. The gas industry has painted a bull's
2 eye on the Marcellus Shale, the geographical
3 foundation that lies beneath the ground where we live
4 and work and play and raise our families. We are in
5 many ways ill prepared to deal with what is coming our
6 way.

7 We are also poor learners when history
8 offers to teach us. This Commonwealth has been
9 ravaged in the past by the lumber barons and the coal
10 industry. We are still paying that price. I can't
11 take my granddaughter for a walk in the woods and show
12 her a tree that takes four people, arms extended and
13 fingers touching to encircle. I need not tell you of
14 the environmental consequences we continue to cope
15 with because of coal mining.

16 While recent history in Texas can offer
17 us a glimpse of the air and water pollution challenges
18 we are about to face. As Pennsylvania's forest and
19 farm fields give up trees and soybeans to become home,
20 instead, to gas wells. It is paradoxical to me that
21 we claim to be spending trillions of dollars on a war
22 for freedom, and yet here in America there is
23 pervasive distrust of government, suspicion of the
24 bureaucracy and cynicism regarding the entire
25 political process. Money has become the ultimate

1 source of power, but is it the final measure of the
2 quality of life? Can that which we treasure most ever
3 be measured in dollars and cents? What is after all
4 the value of a day spent hiking in an unbroken forest,
5 bathing in a clean mountain stream or sleeping under a
6 dark and starry sky? When money is the only measure
7 of value, belief in true freedom is replaced by a
8 sense of helplessness.

9 Through the internet I invited no less
10 than 1,800 people to this meeting tonight. I see many
11 of my family and friends here in this audience, and I
12 honor each and every one of you for sacrificing your
13 time, for being here and for your faith and belief in
14 this democratic process. I've heard from many who
15 could not be here tonight. For some, the busy holiday
16 season held prior obligations, but for many others to
17 attend this meeting felt to them like a waste of time.
18 I've heard comments like, it's a done deal, it's not
19 worth the effort, all of the politicians are bought
20 and paid for. The corporations hold all of the power,
21 and we can't really make a difference anymore.

22 Is it true that the one with the most
23 toys always wins? At the very time the gas industry
24 is massively migrating to Pennsylvania, bringing risks
25 of new environmental challenges and disasters, why did

1 you, here at DEP lose over 25 percent of your budget
2 this year? How much influence over tax budget
3 decision did the nearly \$2 million of gas industry
4 lobby money have? Do you, as DEP employees, even have
5 the freedom to keep your job and make the right
6 decision? Has the money and control held by corporate
7 giants finally reached the tipping point where
8 commonsense is crucified once and for all?

9 Commonsense tells us this. Our streams
10 and rivers are already in peril. The gas industry is
11 moving here with warp speed. They are seeking,
12 through the permitting process, to remove literally
13 billions of gallons of water from our rivers and
14 streams and aquifers. Once used, these once-fresh
15 waters will contain high levels of contaminates,
16 you've heard about the names of those from other
17 speakers tonight. How can we possibly allow these TDS
18 wastewaters to be dumped back into rivers whose water
19 levels will, at the exact time when dilution is most
20 needed, be missing billions and billions of gallons of
21 water?

22 Commonsense says we need these new
23 regulations. Scientists on the EQB say exactly the
24 same thing. Outside the arena of politics and
25 corporate power, commonsense and good science are in

1 agreement on this issue.

2 The Clean Streams Law gives DEP the
3 authority to preserve and improve the purity of the
4 waters of this Commonwealth at adopting rules and
5 regulations as necessary to accomplish this task. I
6 implore you to do exactly that, by both fully adopting
7 and continuing to expand the recommendations of the
8 EQB and pass these rigid new TDS standards. Thank
9 you.

10 CHAIR:

11 Our next witness is Jerry Walls. Jerry
12 Walls to be followed by Sheila Harris and Mark Hartle.

13 MR. WALLS:

14 Good evening. My name is Jerry Walls.
15 My career in public sector community and county
16 planning has spanned some 45 years working at the
17 state government, city government and county
18 government levels in Maryland, Michigan and
19 Pennsylvania. I'm a professional planner certified by
20 the American Institute of certified planners, holding
21 Certification Number 2638. It is partly out of a
22 sense of ethical professional responsibility of our
23 Professional Planner Code of Ethics and a longstanding
24 concern for the quality of our communities that I feel
25 compelled to offer this testimony.

1 The process of establishing public policy
2 for regulation of wastewater discharges is a
3 politically supercharged task. It involves weighing
4 private costs against public benefits with
5 wide-ranging factual scenarios and sometimes elusive
6 and imprecise criteria upon which to make those
7 decisions. Ultimately, those decisions must be based
8 upon a sense of public conscious. I am confident that
9 most EQB Board members do understand that, but my
10 point is that we in the general public need to respect
11 that, including all industry and all forms of
12 organizations. It is vitally important for
13 Pennsylvania to have effective policy standards for
14 the discharge of total dissolved solids.

15 However we need to rethink our approach
16 to clean water regulatory law. Clean water is one of
17 our fundamental assets for a healthy environment and a
18 positive quality of life for our communities. Our
19 groundwater, rivers and streams should not be viewed
20 as easy, unlimited waste disposal systems.

21 The science and training behind my
22 professional planning career do not qualify me to
23 speak to the precise and numeric values of TDS
24 standards. However much of my 45-year career has
25 involved assisting in the mobilization of local

1 government infrastructure investments to address
2 wastewater and water supply treatment. I am keenly
3 aware that many public sewage authorities require
4 industrial dischargers to pre-treat their wastewater
5 before it can be accepted into the public treatment
6 system. Therefore based upon professional
7 recommendations from DEP staff, I do support the
8 proposed TDS standards.

9 I serve on several Boards of Directors
10 alongside astute successful business leaders. I hear
11 their concerns that Pennsylvania appears to give
12 preferential treatment to the oil and gas industry.
13 From my direct involvement in the planning, design,
14 development and operation of the Lycoming County
15 Landfill leachate management liner, lagoon and leak
16 detection monitoring system, I am aware that the PA
17 DEP municipal waste facility design standards and ---
18 I'm aware of those standards. The entire landfill was
19 required to excavate all deposition area and compacted
20 to a smooth surface with a system of perforated pipes
21 under the double-lined 100 mill, HDPE liner draining
22 to a system of sampling wells to enable monitoring of
23 any leaks in the liner, and to enable the capture of
24 any leaking leachate, draining it to a double-lined
25 lagoon. Natural gas frac-flowback fluid impoundment

1 lagoons have no such standards. That equals
2 preferential regulatory treatment for the natural gas
3 industry.

4 When are we as a public, the Pennsylvania
5 General Assembly, our Governor, and governmental
6 leaders at all regional, county and municipal levels
7 going to learn that the latent costs of pollution
8 cleanup far exceed the costs of responsible
9 environmental management and pretreatment at point of
10 generation? When are we going to take a lesson from
11 our own Pennsylvania resource extraction history in
12 coal mining, that pollution cleanup becomes a public
13 cost long after the private enterprise which gained
14 the profits of resource extraction, have ceased to
15 exist? And that it costs far more to do the cleanup
16 later and downstream than at point of generation or
17 discharge?

18 Some natural gas companies do appear to
19 be changing mode of handling frac-flowback fluids to
20 recycle and reuse them in further drilling. Whether
21 they are motivated by the pending TDS standards or
22 just the sound economics of recycling and reuse, it
23 makes good sense to have TDS standards that
24 incentivize that practice, which should also help
25 reduce the cumulative long-term impact of these

1 different fluids and their residual elements on water
2 quality.

3 I believe strongly in our American free
4 enterprise system, but free enterprise does not mean a
5 license to pollute. We do have plenty of socially
6 responsible and environmentally responsible private
7 companies, which pay their way as they go as help
8 produce a healthy community. To members of the EQB, I
9 ask, please establish appropriate scientifically
10 defensible standards for TDS for all industries to
11 protect the waters of our Commonwealth. Other private
12 companies do depend on a system of regulatory fairness
13 and depend on having uncontaminated water available to
14 them. Public water supply systems, including both
15 publicly owned and privately owned systems also depend
16 upon pollution free groundwater and surface water.
17 Otherwise, the cleanup needed to utilize those water
18 resources for public consumption equals a cost
19 transfer from polluters to public consumers. Thank
20 you.

21 CHAIR:

22 Sheila Harris? Sheila Harris is not
23 available. Mark Hartle? Is Mr. Hartle available?

24 MR. HARTLE:

25 My name is Mark Hartle. I am with the

1 Pennsylvania Fish and Boat Commission, 450 Robinson
2 Lane, Bellefonte, PA. Good evening. My name is Mark
3 Hartle, and I would like to offer testimony for the
4 Pennsylvania Fish and Boat Commission regarding the
5 proposed amendments to Pennsylvania Department of
6 Environmental Protection, Chapter 95 wastewater
7 treatment requirements.

8 First, we would like to support DEP's
9 proposal to regulate total dissolved solids,
10 chlorides, sulfates, barium and strontium at the point
11 of this discharge. We believe that this is a
12 responsible step toward ensuring stream health in the
13 vicinity of discharges and controlling loading to
14 prevent impairment of the stream and eventual
15 imposition of total maximum daily load or TMDL.

16 The Department's own analysis has shown
17 that a number of major waterways have limited capacity
18 to assimilate additional TDS, chlorides and sulfates.
19 The condition of high TDS concentrations in the
20 Monongahela River is the extreme case of exceeding
21 water quality standards that the Fish and Boat
22 Commission and citizens of Pennsylvania want to avoid.
23 Protection of water quality and Commonwealth waters,
24 as proposed, is desirable since it places the burden
25 of treatment on dischargers and not public water

1 supplies and downstream resource users. In many
2 cases, public funds and user fees have been used to
3 improve water quality and the improved assimilative
4 capacity should be maintained to assure the health of
5 the public and aquatic communities the streams
6 support.

7 Proposed regulatory thresholds for
8 discharges of wastewaters containing greater than
9 2,000 milligrams per liter or 100,000 pounds per day
10 TDS represent a reasonable threshold for regulation of
11 sources of TDS, sulfates and chlorides that could
12 significantly reduce the receiving waters' ability to
13 assimilate pollutants. We support the thresholds
14 proposed in this regulation.

15 Prevention of discharge of wastewaters
16 from oil and gas field exploration without
17 authorization through an NPDES permit is a commonsense
18 regulation made clear by proposed changes. Limiting
19 strontium and barium in oil and gas discharges to ten
20 milligrams per liter is another element in the
21 regulation we support since these contaminants are
22 highly toxic and are a signature of deep resource
23 exploration. We also point out that more stringent
24 criteria may be necessary to prevent degradation
25 dependent on the stream's dilution capacity and the

1 aquatic life and public health protection criteria for
2 these contaminants and other associated metals. We
3 understand that the natural gas industry has greatly
4 reduced its waste stream through reuse, but we believe
5 more limited effluents will still have highly
6 concentrated contaminants that should be regulated as
7 proposed.

8 The implementation date of January 1st,
9 2011 is the latest date considered by our agency to be
10 reasonable since any new treatment technologies and
11 plants would have to be designed now in order to be
12 ready for NPDES permit application under 25
13 Pennsylvania Code chapter 92. We note that DEP's
14 interim TDS strategy does not reflect best available
15 technologies and rapid phase-out of this strategy is
16 desirable.

17 In addition to more stringent wastewater
18 requirements under Chapter 95, our agency recommends
19 that DEP also use its authority under 25 PA Code
20 Chapter 93, which are the water quality standards
21 regulations, to establish meaningful criteria for
22 protection of aquatic life for TDS, chlorides in
23 particular, and other anions and cations that are
24 characteristic of high TDS waste streams that could
25 compromise aquatic health. We note that the U.S.

1 Environmental Protection Agency, ambient water quality
2 criteria for chloride have not been adopted by DEP.
3 Development of such criteria under Chapter 93 would be
4 an important step forward to not only prevent
5 toxicity, but to prevent alteration of aquatic
6 communities, particularly in sensitive waters.
7 Additions to Chapter 93 criteria, to compliment
8 proposed Chapter 95 regulations will translate into
9 better aquatic life use protection for receiving
10 waters.

11 Additionally, we suggest three areas for
12 improvement of proposed regulations. One, effluent
13 standards should be applied to existing discharges
14 meeting proposed TDS chloride and sulfate thresholds
15 when renewal of NPDES permits is required to level the
16 playing field in terms of discharge quality. The Fish
17 and Boat Commission recommends expansion of the
18 proposed Chapter 95 regulations to existing discharges
19 requiring permit renewals.

20 Number two, instantaneous TDS, chloride
21 and sulfate standards at the point of discharge should
22 be added to Section 95.10, to protect aquatic life in
23 area of the discharge. The instantaneous maximum
24 could be represented as an instream concentration that
25 does not exceed 133 percent of background as found in

1 Delaware River Basin Commission regulations.

2 Thirdly, no clear regulation exists that
3 requires cradle to grave monitoring system for
4 wastewater generated by a Marcellus drilling
5 operation. We recommend such a regulation.
6 Characterization of high TDS waste should be improved
7 to assure available treatment is adequate to reduce
8 the variability of the effluent quality and to assist
9 in determining the likelihood of transfer of
10 contaminants to other media such as air or solid
11 waste. Thank you for the opportunity to present this
12 testimony. My agency would be happy to answer any
13 questions the Board may have with regard to issues
14 that I've discussed.

15 CHAIR:

16 Our next witness is Mr. George Solar to
17 be followed by William Gleason and John Tewksbury.
18 And for the information of the audience, we have six
19 remaining pre-registered witnesses. So I will call on
20 Mr. Solar. Is William Gleason available?

21 MR. GLEASON:

22 My name is William Rocky Gleason. I live
23 3030 North Third Street in Harrisburg, 17110. I am a
24 professional biologist. I do surveys for rare
25 endangered species around the state. I've heard some

1 really excellent well-prepared eloquent comments
2 today. I do not have one of those. I just wanted to
3 say a couple of brief things. I didn't expect to see
4 quite a great crowd here, and I'm really glad to see
5 there is one, I just couldn't let the opportunity go
6 by without having a seat.

7 And what I would really like to say is
8 that we can't go back to the era of coal extraction,
9 which left us with denuded streams that were unable to
10 support many forms of life. The regulations that are
11 proposed should be accepted and extended to existing
12 sources of pollution as well. One of my primary
13 things is that we're always trying to recommend
14 riparian buffers, force riparian buffers to slow and
15 halt the flow of effluent into the streams to help
16 prepare --- you know, preserve the water quality.
17 That makes no sense if we allow discharge directly
18 into streams of highly toxic and sediment-laden water.
19 So beyond that, I have nothing to say, keep it short.
20 Thank you very much.

21 CHAIR:

22 Our next witness is John Tewksbury to be
23 followed by Carl Undercofler, Ed Lawrence and Russ
24 Cowles. Mr. Tewksbury?

25 MR. TEWKSBURY:

1 My name is John Tewksbury, address 168
2 Yeagle Road, Muncy, PA. I'm a kindergarten teacher in
3 Muncy School District, and my class asked me to speak
4 on behalf of their generation. I gave my students a
5 general overview of the proposed changes to the
6 current code that regulates discharges in the PA
7 waterways. I also discussed with them the DEP
8 research findings regarding the impact of added total
9 dissolved solids on freshwater aquatic life. I didn't
10 put it in those terms. They expressed shock and
11 concern when I told them that added TDS to river
12 waters killed fish and other freshwater animal life in
13 western Pennsylvania. They didn't think that was
14 right, and they don't think it's right to continue
15 that practice, so I told them I'd deliver the message
16 to the DEP, who it is responsible for protecting the
17 nature that we love and depend on so much.

18 Many of my students live within walking
19 distance to the West Branch of the Susquehanna where
20 they play, swim, explore and learn. I asked them why
21 the DEP should protect our river, and this is what
22 they told me. Fish are an important part of nature.
23 Frogs are cute, they like how they jump. We need to
24 have clean water to drink. I like to swim and fish in
25 the river. Having clean water is more important than

1 having money. I like to watch the ducks on the river.
2 My dogs like to swim and play in the river. These are
3 the comments of five and six year olds.

4 The DEP is all too well aware of the
5 burden past generations can place on future
6 generations. Past generations are responsible for the
7 environmental destruction that has been caused by acid
8 mine drainage from abandoned coal mines, but our
9 generation is the ones living with the waterways that
10 do not meet the Federal Clean Water Act standards.
11 And we are the ones that are paying the millions of
12 tax dollars associated with remediating the issues
13 associated with abandoned coal mines. Those owners
14 and corporations are long gone and we're left holding
15 the bag.

16 We cannot do this to the next generation.
17 We cannot be focused on short-term benefits that the
18 gas and oil industry will bring to our communities at
19 the expense of the long-term environmental health of
20 our land and water. After the gas and oil and money
21 are long gone, the citizens of Pennsylvania will still
22 need fresh water and a working ecological system to
23 survive.

24 This has been an interesting lesson for
25 my students. Of course, they're learning the

1 importance of reading and writing, of making an
2 informed decision. And perhaps the most critical,
3 they're learning that they must stand up and be heard
4 to prevent others from taking advantage of them. I've
5 told them that the DEP's mission is to protect
6 Pennsylvania air, land and water from pollution.

7 On behalf of Pennsylvania's future
8 generations who can't be here tonight, I am asking you
9 to do your job. Do not buckle under the pressures to
10 yield and compromise with industries that will improve
11 our economy in the short term, but run a serious risk
12 of wrecking the very environment and natural resources
13 that you have been charged with protecting. Members
14 of the DEP, my class' final message to you is simple.
15 Do not fail us.

16 CHAIR:

17 Carl Undercofler?

18 MR. UNDERCOFLER:

19 I'm Carl Undercofler. I live at 81
20 Hudson Drive, Woodland, that's in Clearfield County.
21 I came to speak for the West Branch of the
22 Susquehanna. We have 105 miles of it in Clearfield
23 County. We have 638 miles of tributaries to it that
24 have been polluted with acid mine drainage. They're
25 dead. I can remember the time as a kid when the river

1 in Clearfield was dead. There was very little aquatic
2 life, no fish, a few hellgrammites. Through the
3 efforts of a lot of volunteers, money from Growing
4 Greener, remaining process that was good, the river has
5 come back. We can't afford another disaster. And
6 we're seeing it --- excuse me, a little passionate
7 here. We're seeing it almost on a daily basis where
8 the growing companies are polluting the streams. I
9 passed some pictures around here, I hope some other
10 people see them.

11 The new regulations the DEP wants put in
12 need to be put in as soon as possible and stronger if
13 possible. And in the meantime drilling should be
14 stopped, it needs to be taken care of. Thank you.

15 CHAIR:

16 We have two additional witnesses who have
17 registered, so I will read the next four names and at
18 that time we will then open it up to the audience.
19 Our next witness is Mr. Ed Lawrence to be followed by
20 Russ Cowles, Tami Mausteller and Ralph Kisberg. Mr.
21 Lawrence?

22 MR. LAWRENCE:

23 I'm just going to make some general
24 statements. Getting a notice that DEP is holding a
25 public meeting is somewhat like getting a notice from

1 your doctor that you have to have a colonoscopy. And
2 so the question is, do I have to go? And you have
3 shown tonight that, indeed, we have to go. We have to
4 go, we have to speak up.

5 The second thing I would like to mention
6 is I'd like to thank Senator Mary Jo White for being
7 one of the sponsors of this because I was always under
8 the impression that her name was Mary Jo Whitewash,
9 and that she --- so for me to hear that she actually
10 has an interest in environmental issues in this state
11 besides blocking them comes as a surprise. And so one
12 thing I would like to suggest is that she resign from
13 her position until she comes to a realization that
14 she's working for the people of the state and not for
15 the industries of the state. So that's a
16 recommendation.

17 DEP is supposed to be a watchdog for the
18 environment in the state. A watchdog should have
19 teeth. Now, we all know that the politicians, like
20 Mary Jo White, do their best to pull out as many teeth
21 as they can, moneyed interest pull out a few more.
22 And so what we have is basically, of course, the
23 budget, which slashed DEP at the very time when more
24 DEP people are needed. But no, since the industry ---
25 since it seems like someone else was running the

1 budget this year besides the people of this state and
2 money was slashed from DEP, without a severance tax
3 being passed so that the gas companies could pay their
4 fair share like every other state has. And it's
5 really surprising because here, right at the beginning
6 when the industry --- now, the industry has been in
7 here for a long time. That is true, but as we all
8 know there's a gold rush going on now. And as we all
9 know, ExxonMobil just bought a company that has gas
10 fields in this state. So this is not what has been
11 happening in the past. This is new.

12 Getting back to teeth, what we expect
13 from DEP with the few teeth that they have is that
14 they do something other than bite their tongue. What
15 we expect of DEP is that they stand up and speak for
16 the people of Pennsylvania. That's another
17 recommendation.

18 I agree completely with the second
19 gentleman on one point that the arbitrary date that
20 from here forward these industries will be regulated,
21 and the industries that are not before that date will
22 get grandfathered. That's nonsense, and let's just
23 say that that's nonsense because it does penalize the
24 company's going forward, and it allows the companies
25 that are already doing it to continue doing it. So

1 let's do something about that date. A good suggestion
2 was the phase in when these companies come up for
3 renewal, let's get them on the same page as everyone
4 else.

5 The drilling industry, as we know, is not
6 just powerful in Pennsylvania. It's powerful on a
7 national scale. We know that, in fact, frac water has
8 been exempted from the Clean Water Act, and that was
9 done during the Bush administration with the aptly
10 named Haliburton Amendment. Now, what sense does it
11 make to have a Clean Water Act and then exempt the
12 very companies that are in violation of it? That
13 doesn't make a lot of sense, but as we know a lot of
14 things happened during the Bush years that didn't make
15 a lot of sense. And we're hoping that the current
16 administration can do better.

17 I live outside of Bloomsburg and
18 Millville, which is a small community that has a dump
19 outside of it, which is called Pine --- well, I forget
20 what the name of it is --- White Pines. Thank you
21 very much. And they got a permit to take radioactive
22 sludge from the drilling. So you know when this ---
23 the whole idea of drilling first came up, I, in fact,
24 read in our local newspaper which I --- The Bloomsburg
25 Press, which I can verify does not always tell the

1 truth. But however, they did have an article which
2 said that a DEP spokesman said that what was --- the
3 water that was being used was not toxic. Now, we know
4 that that's not true at this point, but when the
5 industry first came in, there was a lot of things that
6 were said that weren't true.

7 Now, one thing that the industry says is
8 that any type of regulation is going to be too
9 expensive. And so this is why they want to weaken or
10 actually do away with it, have no regulations at all,
11 because regulation is expensive. And I want to agree
12 with them on that point. And as an example of that, I
13 want to use the auto industry, which said that
14 seatbelts would bankrupt them and as we know, they're
15 bankrupt, so there you have it. Thank you.

16 CHAIR:

17 Thank you for the comments. I am going
18 to say for the record, as a member of the
19 Environmental Quality Board for Senator Mary Jo White,
20 clearly folks can have reasonable disagreements. I'm
21 going to state for the record that I've worked for her
22 for 13 years. I don't know anyone with more integrity
23 than Senator White. I'm proud to work for her. She
24 wanted to make sure I was here to listen to your
25 concerns as well as DEP to listen to your concerns.

1 With that, we will continue. Russ Cowles, our next
2 witness. Mr. Cowles?

3 MR. COWLES:

4 My name is Russ Cowles. I live at 2555
5 Riverside Drive, South Williamsport. The first thing
6 I'd like to say is that I do support the proposal
7 we're making by the EQB. A couple of other comments
8 and things I'd like to note. Senator Mary Jo White is
9 very important in this process. I agree with some
10 things that other people said that the final decision
11 on this, in fact, will not be based on science or
12 technology, it's political. It's easy to find her
13 address and phone number. Please call her or write
14 her a letter. She's very important in this process.
15 I think that politics will play a big part in this.

16 In the early part of this century, the
17 Pennsylvania Supreme Court ruled that a coal company
18 if found to cause harm could not be held liable
19 because it wasn't reasonable to think that the state
20 could have a coal extraction industry and clean air
21 and the clean the water. It took over 50 years to
22 reverse that decision. That was political. That was
23 not scientific. It was found to not be legal, but it
24 took 50 years for that to happen.

25 There's been a lot of statements made

1 about legacy or the legacy that we have from other
2 extractive industries. I think everybody's pretty
3 clear on that. My view of that is that the people who
4 benefit from the use of the resource are the people
5 who pay for the cost of its impact. What we have
6 historically done is taken the cost of the impact from
7 extractive industries and pushed that onto future
8 generations. Unfortunately, they can't vote. I
9 really appreciated the comments from our
10 kindergartners. I think that that is very important.

11 And again, I would just really encourage
12 you to contact your politicians, local, county, state
13 and federal. And let them know that you were here at
14 this meeting and what your feelings are. Thank you.

15 CHAIR:

16 The next witness, Tami Mausteller, to be
17 followed by Ralph Kisberg.

18 MS. MAUSTELLER:

19 Hi. I'm Tami Mausteller. I support RDA

20 ---

21 CHAIR:

22 Your address, for the record.

23 MS. MAUSTELLER:

24 Oh, I'm sorry.

25 CHAIR:

1 That's okay. Thank you.

2 MS. MAUSTELLER:

3 1303 State Home Road, Montgomery,
4 Pennsylvania. I live between Muncy and Montgomery,
5 rural area. It has a lot of woodland around my area.
6 In fact, I own some woodland. I'm also an LPN for 29
7 years, and I'm going to relate how I feel about the
8 gas industry to my LPN experience. Human bodies can
9 only tolerate a certain range of salts, chloride,
10 potassium, sodium sulfates. If the body exceeds that
11 range the heart and kidneys and other internal organs
12 begin to overcompensate and then fail. The river is
13 like the human body in this respect, too. Too much
14 chloride, salts, potassium and others --- and all
15 other solid waste that we have no --- currently no
16 treatment exists of TDS, sulfates and chlorides other
17 than dilution. The river also will try to
18 overcompensate. When the body overcompensates and the
19 river overcompensates, we get some adverse affects,
20 algae blooms, failure of the freshwater fish. In the
21 body we begin to shut down.

22 Now, also the human body is also like the
23 river in this respect. The gas industry takes
24 billions --- or millions of gallons of water out.
25 That already dilutes the gas --- or the water. It

1 makes all of the pollution and all of the wastewaters
2 much more concentrated. So you already have a problem
3 to begin with and end up with all of this --- with no
4 current practices other than dilution available. Then
5 we have no way of trying to reverse the failure of the
6 freshwater fish. The river itself, the frogs --- and
7 again I also appreciate the comments of the
8 kindergartners.

9 Pennsylvania likes to brag about their --- with
10 good reason, about its fishing and hunting resources.
11 What is it going to be like when the rivers fail, when
12 the river is dead? Where is the millions and billions
13 of dollars of tourism money going to come from?

14 I'm not a good speaker, but these are
15 some of my thoughts. Pennsylvania also has good ---
16 or depends on its water for drinking water. It's not
17 good to have all of these salts in drinking water.
18 And this is only what we know that's going in from the
19 frac water. They have a law saying that they don't
20 have to tell us exactly what is going in the drinking
21 water in the river. I think this is wrong. I think
22 DEP should do its job to protect us. When it was
23 called DR we'd like to say, don't depend --- or don't
24 expect results. I'm hoping to expect good results
25 this time. Please, do your job. Do what I think you

1 started out in this agency to do, protect our
2 environment. Thank you.

3 CHAIR:

4 Thank you. Ralph Kisberg?

5 MR. KISBERG:

6 My name is Ralph Kisberg. I live at 1736
7 Almond Street in Williamsport. It's about a mile from
8 where the proposed frac water treatment plants. I
9 also happen to be currently working a few hundred feet
10 from one of these proposed plants. In addition, I
11 spend a lot of time on the water and some inadvertent
12 time in the water, and like a lot of us here the river
13 is a big, you know, part of our quality of life. So
14 Mr. Gleason brought up a good point that I wrote down
15 about the gentleman from the treatment plant talking
16 about how gas has been around for 100 years. We all
17 know, as he eloquently put it, how things have
18 changed. But this is part of the problem, we don't
19 get total honesty from the gas industry, of course,
20 that's not their job. They don't usually lie I think,
21 but they lie by omission, and that's a form of lying.
22 And it's really hard for us to get a grasp of what's
23 going on here. I mean we have so many things to deal
24 with.

25 Here's a very simple point that maybe you

1 can take home with you that I've picked up at a couple
2 of public meetings and there are other people here
3 that were there that could corroborate this. And if
4 I'm wrong I need to hear it, but I heard it twice from
5 different gas industry people from different
6 companies. When the question was asked, what is the
7 effectiveness of a frac? This is talking about the
8 horizontal board that goes out 5,000 feet. You go
9 down in the shale and you go out; right? So the frac
10 effectiveness is the depth of the shale formation
11 around 300 feet in this area, maybe less, and then
12 horizontally. About a year ago if you asked that
13 question you got an answer of 1,000 feet. Now, if you
14 asked it in the spring, you got an answer of 500 feet.
15 If you asked it this summer, as it was asked at two
16 different meetings in August and September, it was
17 down to a few hundred feet. This is a very dense
18 shale, more dense apparently than what is in Texas.

19 So what does this mean? I'm not a
20 mathematician, but this is two and a half times the
21 water, two and a half times the trucking, two and a
22 half times the chemicals. I mean, everything is
23 shrinking in size and growing in impact. So we're
24 just asking for some basic standards there. I don't
25 know what an ion is really. You know, total dissolved

1 solids. What is it? Who knows? If you're not a
2 scientist, it's a positively charged atom. But what
3 do we know about that?

4 But we do know that we don't have a
5 comprehensive look at what's going on here. We've got
6 the River Basin Commission dealing with the
7 withdrawals, we've got DEP water quality dealing with
8 wastewater, we've got DEP air quality dealing with air
9 quality issues. How are we going to get a grasp of a
10 whole look at this thing, because I think if we had
11 it, they might be a little surprised about what's
12 going on here and what's going to happen. This is our
13 time. We're the stewards here. The kids, the future,
14 they can't speak, but what are we going to be left
15 with in 50 years around here. So let's start by
16 putting some standards in, maybe they're not exactly
17 perfect. They can be adjusted, but for now the gas
18 industry's going to do what's cheapest. That's their
19 job. Thank you.

20 CHAIR:

21 Thank you. We've concluded the list of
22 preregistered witnesses. By a show of hands is there
23 anyone who would like to come forward and offer
24 testimony? Okay. So gentlemen, back here. And I
25 think if you'd be happy to come forward and state your

1 name and your address for the record. I'd appreciate
2 it.

3 MR. KESICH:

4 My name is John Kesich, and I live 628
5 Bailey Creek Road, Millerton, PA.

6 CHAIR:

7 Can you spell you last name, please, for
8 the record?

9 MR. KESICH:

10 It's K-E-S-I-C-H. I'd just like to read
11 one snippet of the statement that I had prepared since
12 there's been so much good testimony before me. And
13 for me the ideal result of these hearings would be for
14 DEP to tell industry, we're terribly sorry, but the
15 people of Pennsylvania will not continence (sic) any
16 avoidable pollution of their waterways. They do not
17 deem the cost savings and convenience you would enjoy
18 from dumping your wastes as justifying the pollution.

19 I'd also like to briefly describe a
20 conversation I had yesterday which raises the
21 important and troubling question, if we can't trust
22 DEP to keep TDS out of our faucets, how can we trust
23 them to keep it out of our rivers? The person I spoke
24 to, as you might have guessed, was impacted by a gas
25 well which polluted his well, his water well. He

1 found a bunch of light blue, very fine sediment in his
2 hot water heater one day. So he went and he called
3 the operator who was drilling the well. And this just
4 happened coincidentally to be the day after they had
5 fraced that well. So anyway, they responded quickly.
6 They gave him bottled water, and they installed a
7 three-stage filtration system on his water supply.
8 Now, he still had some issues. For example, the
9 holding tank for his well is on the wrong side of that
10 supply, so things had to be adjusted.

11 But my point here is this gentleman did
12 not feel comfortable going to DEP for help. Now, to
13 me it seems that when there's a problem with the
14 environment, who are you going to call, DEP. But I
15 fully understand his reluctance because as he put it,
16 he's at the mercy of the gas company and he doesn't
17 want to piss them off. So if DEP cannot be counted on
18 to keep the TDS out of their kitchen faucets, what
19 makes us think they're going to keep it out of the
20 river? Thank you.

21 CHAIR:

22 Is there anyone else who would like to
23 offer testimony? Yes, sir.

24 MR. VOSK:

25 Hi. I'm Arnold Vosk. My last name is

1 spelled V, like in Victor, O-S-K. I live at 463
2 Pleasant Hill Lane in Williamsport. I wasn't planning
3 to talk today, so if I sound inarticulate, you'll know
4 why. There have been many people who have testified
5 today who are environmental experts and who know more,
6 a great deal more, about this than I do. I'm a
7 retired ER doctor, and part of my job was --- involved
8 helping local companies deal with prevention of
9 industrial accidents and dealing with possible
10 accidents as they might happen.

11 One of the things that every company in,
12 well almost every, company in the state of
13 Pennsylvania is required to do is if they're dealing
14 with chemicals they're required to have what are
15 called MSDS sheets on every single chemical that they
16 are using. And if you go to local companies, you will
17 see they have loose-leaf notebooks with sometimes
18 hundreds of sheets because even if they use something
19 only one day in the year they have to have the MSDS
20 sheet on it. That names what the chemical is. It
21 names what the hazards of it are, it lists what to do
22 in case a spill and a whole bunch of other information
23 about it. You also see this kind of public
24 information on trucks that are normally transporting
25 hazardous material. So if you look on the back of

1 tank trucks lots of times or even other trucks that
2 are transporting hazardous stuff, you will see a
3 diamond shaped plaque with a number on it. That
4 number refers to a book which all emergency responding
5 agencies have and that tells them what the stuff that
6 is being transported is.

7 Now, this kind of transparency is a
8 requirement for most of the industries that function
9 in our Commonwealth. It's not a requirement for the
10 gas industry. What's infracting fluid is a
11 proprietary secret. Some of the ingredients are
12 known, but some of them aren't known. So I support
13 DEP's effort to regulate dissolved solids, but there
14 are a lot of other things, and I think this is only
15 the beginning. Because there are a lot of other
16 chemicals that are in fracing fluid, and we don't know
17 what a lot of them are. Some of them are pretty
18 harmless like detergents, others are organic chemicals
19 like benzene, which has a known carcinogenic
20 potential. And there are other things we don't even
21 know what they are. The thing about contaminants is
22 that generally you don't find them unless you test for
23 them. So you usually have to know something about
24 what you're looking for even to test for it.

25 So I think that this should only be the

1 beginning of DEP's effort in this direction that the
2 other contaminants that are present in fracking fluid
3 that find their way into drinking water and into
4 stream water and into the environment generally have
5 to be regulated, just like other hazardous chemicals
6 have to be disposed to the public, and have to be made
7 normal public information, just as part of DEP's
8 responsibility to protect the people in this
9 Commonwealth.

10 And I hope that DEP will continue in this
11 direction and will require drilling companies to
12 basically hue to the same standards that all other
13 companies in the state are required to. Thanks a lot.

14 CHAIR:

15 I want to enter a quick reminder. The
16 public comment period on this regulation will continue
17 until February 12th. And comments may be submitted in
18 writing to the Environmental Quality Board, P.O. Box
19 8477, Harrisburg, Pennsylvania, 17105. They may also
20 be e-mailed to RegComments@state.pa.us. I want to
21 recognize anyone else who would like to come forward
22 and offer testimony. Is there anyone else present who
23 would like to offer testimony?

24 Seeing none, I will adjourn this hearing,
25 and I appreciate very much your time coming out this

1 evening. Thank you, and have a good evening.

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

* * * * *

HEARING CONCLUDED AT 7:08 P.M.

* * * * *

CERTIFICATE

I hereby certify that the foregoing proceedings, hearing held before Chairman Henderson, was reported by me on 12/16/2009 and that I Sarah Wendorf read this transcript and that I attest that this transcript is a true and accurate record of the proceeding.

