

2806

BEFORE THE  
ENVIRONMENTAL QUALITY BOARD

\* \* \* \* \*

IN RE: WASTEWATER TREATMENT REQUIREMENTS

PUBLIC HEARING

\* \* \* \* \*

BEFORE: RICHARD MANFREDI, Member

HEARING: Thursday, December 17, 2009  
5:06 p.m.

LOCATION: Lehigh County Government Center  
17 South 7th Street  
Allentown, Pennsylvania 18101

WITNESSES: Jeff Shanks, Tracy Carluccio, Brian Wagner,  
Cathy Frankenberg, Stephanie Wissman, Will Quale,  
Carroll Williams, Janet Keim, Jane Benning, Matthew  
McConnell, Sara Caspar, Jason Marmon, Darree Sicher,  
Jan Little, Larry Mankies, Katherine Lewis, Leah  
Zerbe, Erin Crump, Faith Zerbe, Ann Dixon, Sandra  
Folzer, Iris Marie Bloom, Joy Tetlak-Adelstein, Amy  
Wilson, Adam Garber, Rob Benner, Shirley Masuo, Eric  
Pavlak, Steven Danis and Cecilia Dougherty

Reporter: Andrew M. Minnick, Jr.

Any reproduction of this transcript  
is prohibited without authorization  
by the certifying agency.

REC'D  
DEC 25 PM 1:51

## I N D E X

1		
2		
3	OPENING REMARKS	
4	By Mr. Manfredi	5 - 9
5	TESTIMONY	
6	By Mr. Shanks	9 - 15
7	By Ms. Carluccio	15 - 26
8	By Mr. Wagner	26 - 31
9	By Ms. Frankenberg	31 - 35
10	By Ms. Wissman	35 - 43
11	By Mr. Quale	43 - 46
12	By Mr. Williams	46 - 52
13	By Ms. Keim	52 - 54
14	By Ms. Benning	54 - 58
15	By Mr. McConnell	58 - 61
16	By Ms. Caspar	62 - 63
17	By Mr. Marmon	63 - 68
18	By Ms. Sicher	69 - 76
19	By Ms. Little	76 - 78
20	By Mr. Mankies	78 - 82
21	By Ms. Lewis	82 - 86
22	By Ms. L. Zerbe	87 - 89
23	By Ms. Crump	89 - 95
24	By Ms. F. Zerbe	95 - 100
25	By Ms. Dixon	100 - 102

I N D E X (cont.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

By Ms. Folzer	102 - 106
By Ms. Bloom	107 - 112
By Ms. Tetlak-Adelstein	113 - 120
By Ms. Wilson	120 - 125
By Mr. Garber	126 - 129
By Mr. Benner	130 - 133
By Ms. Masuo	133 - 135
By Mr. Pavlak	135
By Mr. Danis	136 - 137
By Ms. Dougherty	137 - 138

E X H I B I T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<u>Number</u>	<u>Description</u>	<u>Page Offered</u>
---------------	--------------------	---------------------

NONE OFFERED

## P R O C E E D I N G S

1  
2 -----  
3 MR. MANFREDI:

4 Good evening, everyone. Can everyone  
5 hear me? How about now? You'll hear me if I start to  
6 hum a few bars. First I'd like to apologize for the  
7 late start. Traffic as usual. But any event, I'd  
8 like to welcome everyone to the Environmental Quality  
9 Board's public hearing of proposed regulations  
10 regarding wastewater treatment requirements. My name  
11 is Richard Manfredi. I'm a member of the  
12 Environmental Quality Board representing the Citizens  
13 Advisory Council from Bucks County. And I officially  
14 call this meeting to order. And it is approximately  
15 5:08 p.m.

16 The purpose of this hearing is for the  
17 EQB to formally accept testimony on the proposed  
18 regulations concerning wastewater treatment  
19 requirements. In addition to this hearing, the EQB  
20 held similar hearings on this proposal this week in  
21 Cranberry Township on Monday, December 14th, 2009, in  
22 Ebensburg on Tuesday, December 15th, 2009, and in  
23 Williamsport on Wednesday, December 16th, 2009. This  
24 proposed rulemaking that was approved by the EQB on  
25 August 18th, 2009 establishes effluent limits for new

1 or expanded sources of wastewaters containing high  
2 concentrations of total dissolved solids, or otherwise  
3 known as TDS.

4           The proposed regulations apply to new  
5 wastewater discharges that did not exist on April 1 of  
6 2009 and that contain TDS concentrations greater than  
7 2,000 milligrams or a TDS loading that exceeds 100,000  
8 pounds per day. For purposes of the rulemaking, a new  
9 wastewater discharge includes an additional discharge,  
10 an expanded discharge or an increased discharge from  
11 the facility in existence prior to April 1, 2009.

12           The proposed rulemaking also establishes  
13 monthly average discharge limits of 500 milligrams per  
14 L of TDS, 250 milligrams per L of total chlorides and  
15 250 milligrams per L of total sulfates for all  
16 discharges of wastewater with high TDS. Additionally,  
17 new discharges of water --- wastewater resulting from  
18 fracturing production, field exploration, drilling or  
19 depletion of oil and gas wells must also meet a  
20 monthly average discharge limit of ten milligrams for  
21 barium and strontium.

22           The Department initiated extensive  
23 outreach in the development of this proposed  
24 rulemaking, including presenting rulemaking for review  
25 and comment to the Water Resources Advisory Council,

1 otherwise known as WRAC, at several meetings in the  
2 summer of 2009.

3           In order to give everyone equal  
4 opportunity to comment on this proposal, I'll  
5 establish the following ground rules. One, I will  
6 first call upon the witnesses who have preregistered  
7 to testify at this hearing. I believe there are 21.  
8 After hearing from these witnesses, I will provide any  
9 other interested parties with the opportunity to  
10 testify as time allows. Testimony is limited to ten  
11 minutes, up to ten minutes, for each witness.  
12 Organizations are requested to designate one witness  
13 to present on its behalf. For example, if there are a  
14 number of people here that are with one organization,  
15 if you want to assign someone to speak on your behalf,  
16 feel free to do so. If you want to make individual  
17 comments and you're part of an organization, you also  
18 can do that as well. Whichever's best for you and  
19 whichever you feel offers you the most opportunity to  
20 be heard.

21           Each witness is asked to submit three  
22 written copies of his or her testimony to aid in  
23 transcribing. This gentleman here is taking the  
24 transcription of this hearing. Please hand me, I'll  
25 be sitting right here, your copies prior to presenting

1 your testimony. You will come and stand at this  
2 podium and speak outward.

3           Please state your name, your address and  
4 affiliation for the record prior to presenting your  
5 testimony. Obviously if you're not affiliated and  
6 you're just an individual, so state that. The  
7 Environmental Quality Board would appreciate your help  
8 by spelling names and terms that may not be generally  
9 familiar so the transcript can be as accurate as  
10 possible.

11           Because the purpose of the hearing is  
12 receive comments on the proposal, EQB or DEP staff may  
13 question witnesses. However the witnesses may not  
14 question the EQB or DEP staff. In other words, I  
15 won't be answering any questions here this evening,  
16 nor will any DEP staff.

17           In addition to or in place of oral  
18 testimony presented at today's hearing, interested  
19 persons may also submit written comments on this  
20 proposal. All comments must be received by the EQB on  
21 or before February 12th, 2010. Again, that date is on  
22 or before February 12th, 2010.

23           Comments should be addressed to the  
24 Environmental Quality Board, Post Office Box 8477,  
25 Harrisburg, PA, 8 --- I'm sorry, 17105-8477. Again,



1 comments should be addressed to the Environmental  
2 Quality Board, Post Office Box 8477, Harrisburg, PA,  
3 17105-8477. Comments may also be e-mailed to  
4 regcomments, R-E-G-C-O-M-M-E-N-T-S, at state.pa.us.

5 All comments received at this hearing as  
6 well as written comments received by the February 12,  
7 2010 deadline will be considered by the EQB and be  
8 included in a comment response document, which will be  
9 prepared by the Department and reviewed by the EQB  
10 prior to the Board taking its final action on this  
11 regulation.

12 Anyone interested in receiving a copy of  
13 this transcript of today's hearing may contact the EQB  
14 for further information. Again, when I sit down I'll  
15 call the first witness and we'll go from there. Come  
16 to the podium, state your name, address and if you are  
17 affiliated with anyone. Please go from there.

18 Can everyone hear me? If you can hear  
19 me, I'll call out names from here. Otherwise I'll  
20 step to the podium. The first person is David Buzzell  
21 and Jeff Shanks, PWIA. Hopefully I am pronouncing  
22 that correctly.

23 MR. SHANKS:

24 Good evening. My name is Jeff Shanks and  
25 I'm the director of Environmental Protection and Waste

1 Management. And I'm here tonight representing the  
2 Pennsylvania Waste Industries Association. My office  
3 is in Fredericksville, Pennsylvania.

4 To give you a little bit of background on  
5 PWIA, it's a statewide association in the private  
6 sector of waste haulers, recyclers and landfill  
7 operations. Our mission is to promote efficient and  
8 environmentally safe management of solid waste. We  
9 advocate sound policies and rules affecting the  
10 management of solid waste. We communicate the  
11 benefits the waste industry provides to people in the  
12 Commonwealth.

13 The industry contributes \$3 billion a  
14 year to PA economy. The industry accounts for 31,500  
15 jobs, \$904 million in annual employee earnings. In  
16 addition, \$131.2 million in state refuse taxes and  
17 approximately \$49 million in host payments. There's  
18 47 permitted and operating municipal waste landfills  
19 in the Commonwealth.

20 Modern landfills are a highly engineered,  
21 regulated system designed to protect the environment.  
22 Each has significant capital investments in lands,  
23 equipment and improvements, including air, water and  
24 leachate monitoring and management features and  
25 facilities.

1 I provided a slide that represents an  
2 overview of the 47 landfills in Pennsylvania that's  
3 been spread out throughout the watersheds and not  
4 concentrated on any specific watershed. Only two  
5 landfills are within the Mong Watershed and they have  
6 insignificant loadings. The rest of the presentation  
7 will focus on the proposed regulations and how they  
8 would affect landfills, despite the fact that our  
9 loadings are very low.

10 The proposed regulations will impact TDS  
11 chloride/sulfate loadings from MSW landfills. We have  
12 an actual and a comparative. We'll also talk about  
13 TDS treatment options, costs and concerns. How EPA's  
14 rulemaking evaluated the treatment of landfill  
15 leachate and how the proposed DEP regulations have  
16 timelines that are not feasible.

17 If you evaluate the leachate  
18 concentrations, we exceed the proposed regulatory  
19 trigger. However, as you evaluate the actual flows  
20 and associated loadings, they are very small. The  
21 results indicate that the landfill leachate for TDS  
22 loadings are small and are approximately 2,000 pounds  
23 per day per site for TDS.

24 Even if we combine the total TDS loadings  
25 for the 28 sites that we evaluated, we would still be

1 under the proposed regulatory trigger of 100,000  
2 pounds per day per site. Actually, let me back up.  
3 It would be 100,000 pounds per day for the total 28  
4 sites that we evaluated.

5           We also made some comparisons to orphan  
6 mine discharge in the Commonwealth. The bottom line  
7 there is that if you assume an average concentration  
8 of approximately 1,100 milligrams per liter, the total  
9 daily loads were in excess of six million pounds per  
10 day. That's a big different between the landfill  
11 loads of 54,000 pounds per day for the 28 sites for  
12 which we had data. The take-away message is that  
13 landfills are neither the source of nor the fix to the  
14 TDS issues that may exist in select waters.

15           We also looked at the treatment costs.  
16 And we worked with some vendors to look at reverse  
17 osmosis costs. At a 25,000 gallons per day plant, the  
18 capital costs were approximately \$1.4 million. Annual  
19 O&M was \$258,000. The reverse osmosis cost for a  
20 50,000 gallon per day plant was \$2.2 million and  
21 annual O&M was \$428,000. For 100,000 gallon per day  
22 plant, the capital costs were about \$3.1 million with  
23 O&M of \$665,000. These costs do not reflect treatment  
24 or disposal of concentrate.

25           We also looked at an actual RO facility

1 which is in place today. The original capital costs  
2 were \$3.4 million. O&M was approximately \$2 million a  
3 year. This does include the reject disposal fee of  
4 POTW. We have some significant concerns with RO  
5 treatment. There's a 40 percent reject rate. The RO  
6 concentrate is currently hauled to POTW.

7           The new rule would require out of state  
8 hauling or evaporation. Evaporation imposes huge  
9 energy and cost issues. Treatment of residuals needs  
10 to be properly stored, managed and disposed.

11           We also looked at an evaporation option.  
12 It's also high cost. We looked at a 20,000 gallon per  
13 day plan. Capital cost of \$2 million for startup.  
14 Landfill gas may not be available due to existing  
15 contracts for renewable energy projects. We looked at  
16 the energy cost impacts. It takes approximately 300  
17 cubic feet of natural gas to evaporate 20,000 gallons  
18 of water a day for an annual cost approaching \$1  
19 million.

20           Air impacts. Boiler emissions of  
21 conventional pollutants and greenhouse gas. Our best  
22 estimate is that adding evaporation and/or  
23 crystallization doubles the capital cost of the RO  
24 unit.

25           I mentioned the air impacts earlier,

1 which we also looked at from an evaporator standpoint,  
2 and determined that there was significant greenhouse  
3 gas emissions.

4           Let's talk about some of the rulemaking  
5 that has been historic by EPA. EPA rulemaking for  
6 effluent limits for landfills were published in the  
7 Federal Register in January of 2000. It was concluded  
8 from that rulemaking that municipal solid waste  
9 landfill TDS concentrations do not justify regulation.

10           Reverse osmosis is not considered a  
11 viable option. The small incremental removal of  
12 pounds achieved was not justified by the large cost.  
13 EPA also has a best available technology analysis on  
14 reverse osmosis for landfills. And they concluded  
15 that small removal amounts did not justify the cost.  
16 It's difficult to evaluate potential operating and  
17 associated costs of concentrate disposal problems and  
18 the associated potential increase in the cost of  
19 operating the reverse osmosis system at a landfill.  
20 Development documents also note potential air and  
21 energy impacts, as we discussed earlier.

22           Regulatory timeline. Compliance by  
23 January 2011 is not possible. Design and testing of  
24 treatment technologies, plans and options to handle  
25 treatment residues, development and permitting

1 treatment facilities, you're looking at 24 months per  
2 an RO, 36 months for crystallization and evaporations  
3 plants. And if there was the need for additional  
4 disposal capacity, you'd be looking at three to five  
5 years for the new residual waste materials.

6           Landfill conclusions. The principal  
7 sources of TDS in streams in the Commonwealth is from  
8 acid mine drainage. And it's not being addressed by  
9 the proposed regulations. The environmental impacts  
10 and consequences of the proposed regulations are  
11 significant. Landfills should be exempt from  
12 regulations based on EPA rulemaking in January 2000  
13 and low loadings.

14           Regulations should exempt sources with  
15 less than 100,000 pounds per day or provide mechanism  
16 for variance. Regulations should require development  
17 of stream specific water quality limits. DEP should  
18 utilize existing tools to address new sources, such as  
19 the Marcellus Shale Gas Development.

20           Thank you very much for the opportunity  
21 to make this presentation on behalf of Pennsylvania  
22 Waste Industries Association.

23           MR. MANFREDI:

24           Mr. Shanks, can I ask you a question?

25           MR. SHANKS:

1 Yes, sir.

2 MR. MANFREDI:

3 You had mentioned that it is not possible  
4 in the timeline by 2011. Is there any circumstance  
5 --- by the way that was perfect timing. Is there any  
6 circumstance by which it could in 2011?

7 MR. SHANKS:

8 No, sir.

9 MR. MANFREDI:

10 Most definitively?

11 MR. SHANKS:

12 That's correct.

13 MR. MANFREDI:

14 Thank you.

15 MR. SHANKS:

16 Thank you.

17 MR. MANFREDI:

18 The next testifier is Tracy Carluccio.

19 MS. CARLUCCIO:

20 Thank you. My name is Tracy Carluccio.  
21 I'm deputy director of Delaware River Keeper Network.  
22 The address is 300 Pond Street, Bristol, Pennsylvania.  
23 We will be submitting more detailed written comment  
24 and we will incorporate our verbal comment into the  
25 written comment.



1                   First, I would like, for the record, to  
2 say a couple things. It is our position that there  
3 should be no new drilling permits issued until  
4 protective wastewater regulations are adopted by the  
5 state. The interim standard that's in place right now  
6 is allowing the continuation of drilling permits. And  
7 if it's not illegal to be issuing drilling permits  
8 that will produce wastewater greater than the amount  
9 that our treatment plants can handle, then there ought  
10 to be a law.

11                   We should not --- it is absolutely  
12 irresponsible on the part of the state to continue  
13 this breakneck speed of issuing drilling permits for  
14 new shale gas wells. It should be stopped until  
15 regulations are adopted.

16                   And secondly, no new discharge permits  
17 for wastewater facilities should be issued that do not  
18 meet protective standards. This rule would not go  
19 into place until 2011. Many existing plants are being  
20 grandfathered and wouldn't even be covered. And  
21 plants that are issued permits in the meantime can go  
22 ahead and discharge above the levels at DEP,  
23 themselves, are saying is needed until 2011 or two  
24 years beyond the time they're given their permit.  
25 This is wrong. No new discharge permits should be

1 issued until rules are put in place to properly handle  
2 this wastewater.

3           As far as the proposed Chapter 95  
4 regulations are concerned, the regulations will  
5 finally establish a total dissolved solid, sulfate and  
6 chloride standards for all discharges with high ---  
7 not all, all high total dissolved discharges, which is  
8 a good thing for Pennsylvania. It's a necessary step  
9 forward that the state must take no matter the  
10 opposition. And there's going to be plenty of it and  
11 there already is from the industry.

12           However, we have several concerns in  
13 what's been proposed. First of all, we know that gas  
14 drilling wastewater is loaded with toxins and  
15 ingredients that are hazardous to human health and  
16 wildlife and aquatic life. In fact, the Department of  
17 Energy says that natural gas wastewater is ten times  
18 more toxic than oil drilling wastewater.

19           And New York DEC reported in their draft  
20 supplemental generic environmental impact statement  
21 that came out in September and is out for comment now  
22 until the end of this year that info they gathered  
23 from shale gas hydraulic fracturing operators in  
24 Pennsylvania and West Virginia reveals 197 products  
25 made up of 260 unique chemicals, and another 40

1 mixtures that they don't know what's in it, because  
2 they're not revealed by the industry. And these are  
3 all used in the frac fluids that drillers are  
4 injecting into the well bores to develop shale gas  
5 wells here in this state.

6           Many are classified as toxic,  
7 carcinogenic and are hazardous. Some examples are  
8 benzene, benzene derivatives, formaldehyde, methanol,  
9 ethylene oxide, toluene and a head-spinning list of  
10 many, many more. Yet these dangerous additives are  
11 not addressed in these regulations.

12           And further, the flow-back fluids that  
13 erupt to the surface after well is hydrofractured  
14 contains deep geology pollutants that reside naturally  
15 a mile beneath our feet here. They aren't dangerous  
16 when they're isolated by nature well below aquifers  
17 and potable water. But when brought to the surface,  
18 they're dangerous to human health and, again, to  
19 wildlife and aquatic life.

20           This flow-back, as they call it, must be  
21 disposed of along with the factoids that are produced  
22 by shale gas development according to the Clean Water  
23 Act. Yes, these fluids are very high in total  
24 dissolved solids and salts. And it is crucial that  
25 these pollutants be treated in the wastewater and

1 removed.

2                   But many of the other pollutants that  
3 have been identified as constituents of concern by  
4 Pennsylvania DEP themselves and that have been  
5 detected in the flow-back water that New York tested  
6 from Pennsylvania and West Virginia are just as or  
7 more dangerous than these targeted pollutants in this  
8 proposed rulemaking. Bromides, acetones, benzenes,  
9 saline, toluene, arsenic and other heavy metals, even  
10 radium 226, a derivative of uranium, in amounts up to  
11 267 times the limit safe for discharges and thousands  
12 of times the limit safe for drinking water are in the  
13 flow-back. The flow-back, the wastewater, is actually  
14 radioactive in many instances. And they found that  
15 --- New York found that when they tested the flow-back  
16 water that was coming from Pennsylvania and West  
17 Virginia.

18                   Yet none of these parameters are being  
19 addressed by Pennsylvania DEP's proposed rulemaking.  
20 They should be. And acute and chronic toxicity  
21 testing of effluent should be required to find out how  
22 the combination and synthesis and cumulative impact of  
23 these ingredients affect water quality, especially in  
24 regards to fish and aquatic life at the discharge  
25 point and drinking water at the input point.

1           It is our position that the proposed  
2 standards are also measured at the discharge point,  
3 not at the point of intake for water quality, in order  
4 to protect stream quality. And that background levels  
5 of TDS and other pollutants in the stream need to be  
6 factored in, in order to say what the safe discharge  
7 amount should be. Otherwise, we're continuing to go  
8 down a spiral of degradation of our streams and  
9 waterways.

10           Many of our major streams and rivers of  
11 Pennsylvania are already overloaded. We can't take  
12 any more. DRBC, for instance, requires that no TDS  
13 discharge, total dissolved solids discharge, exceed  
14 133 percent of background or 500 parts per million,  
15 whichever is stricter. This may not be good enough,  
16 but that's the sort of action that DEP should be  
17 taking in order to consider what's already in the  
18 stream.

19           And it is also our position that all  
20 toxic constituents must be removed from the wastewater  
21 stream before discharge. Otherwise, we're putting  
22 into place a toxic mixture and no one knows what's in  
23 it and nobody can remove it at --- well, at the water  
24 withdraw point.

25           And also, these effluent standards and

1 requirements should apply to flow-back waters that are  
2 reused or recycled for any purpose, such as those of  
3 re-injecting for hydrofracing wells. We are very  
4 concerned and many people are very concerned that  
5 radioactive water and pollutant-laden fluids are being  
6 used right now by companies such as Range Resources  
7 here in Pennsylvania to hydrofrac wells. They're  
8 calling it reuse. They're saving water resources.

9           Well, they're taking the water that's  
10 coming back up in the flow-back and the used hydrofrac  
11 fluid and reusing them and reinjecting them in their  
12 next well. All it does is save them money. Are we  
13 not concentrating pollutants? We want to know the  
14 answer to these questions. And if we don't regulate  
15 the use of that water, the reuse of that water, we  
16 will never know what's in it.

17           I'd like to take another minute to point  
18 out another serious flaw in this rulemaking.  
19 Pennsylvania DEP is not taking action to protect our  
20 drinking water supplies from degradation and pollution  
21 by gas drilling wastewater. And I'm going to tell you  
22 --- and it seems on the face of it, everyone's talking  
23 about clean drinking water. We're talking about our  
24 wonderful, you know, famous rivers here in  
25 Pennsylvania.

1 Well, there's a couple of pieces of  
2 evidence in this rulemaking in the way the total  
3 dissolved solids strategy, as DEP names it on the  
4 website, is moving forward that shows that they are  
5 not, specifically not, caring for drinking water  
6 supplies.

7 One is that the EPA and the DEP  
8 classifies total dissolved solids in fluid as  
9 secondary contaminants. And they say there's, you  
10 know, no drinking water standard that is an mcl for  
11 these pollutants because their impacts are mainly  
12 considered taste and odor. But there are human health  
13 impacts, and they're not recognized.

14 When background levels of salts are  
15 already high in a stream, as discussed in the  
16 rulemaking for the Monongahela River, and we know what  
17 disaster happened there from an overloading of TDS and  
18 salts in DEP's strategy paper. And for other intakes,  
19 such as for Philadelphia. Philadelphia constantly has  
20 to balance its treatment to keep the water from  
21 becoming too saline because saline water is dangerous  
22 to human health.

23 So there are human health impacts from  
24 total dissolved solids and chlorides when they're too  
25 high. Secondly, this rulemaking does not address

1 bromide, which is a known constituent in flow-back  
2 from shale gas wells and is reported in the New York  
3 City --- the New York State Department of  
4 Environmental Conservation report I mentioned earlier,  
5 the draft EIS.

6           In fact, the samples of Pennsylvania and  
7 West Virginia flow-back that were analyzed by New York  
8 showed bromide to be present in all samples analyzed  
9 up to 3,070 milligrams per liter.

10           Now, Pennsylvania DEP reports that  
11 bromide is a chief parameter of concern in a report by  
12 the EPA, Pennsylvania DEP and the Allegheny County  
13 Health Department. They put this right in their  
14 report and they said they recognize that these  
15 entities have been identified. The danger is that  
16 bromides form brominate discharge byproducts ---  
17 brominated discharge byproducts, which pose a  
18 significant human health risk. And that those, in  
19 turn, increase chlorinated discharge byproducts.

20           And these are --- examples of this is  
21 trihalomethane. Anybody in Philadelphia knows that  
22 trihalomethanes are a problem in Philadelphia and they  
23 may be a problem here in Allentown. But they form in  
24 the water system. And when you have high bromide, you  
25 have high --- you can end up with high discharge



1 byproducts, such as these brominated byproducts.

2                   Okay. I'll wrap it up. This is a water  
3 purveyor's nightmare. Yet DEP does not have adequate  
4 representation and a robust participation from the  
5 water system operators and the water purveyors who  
6 deliver safe drinking water to us on their TDS, their  
7 total dissolved solids, stakeholder group. They're  
8 just not there. Or if they're there, they're quiet.

9                   It's basically the gas well industry, the  
10 coal industry or the folks that run that TDS  
11 stakeholders group that are shaping how wastewater is  
12 going to be treated in gas drilling here in  
13 Pennsylvania. This is a sin. The water purveyor  
14 should be at the table with equal respect as anybody  
15 else and given more respect in the fact that ---  
16 because of the fact that they're going to be left with  
17 a mess to clean up.

18                   They have to treat water to drinking  
19 water standards. They care about delivering safe  
20 water to their constituents, to us. And they can't do  
21 it if they're given a chemical mix, they don't even  
22 know what's in it, it's filled with bromides and it's  
23 filled with TDS and salts because the cumulative  
24 impacts are not considered by DEP by the time it gets  
25 to their intake.

1                   Now, I would just like to close by saying  
2 that the fish and aquatic life in some ways are much  
3 more sensitive than human beings. And in this  
4 thinking, DEP has decided that the most sensitive  
5 receptor is the human being. But there are studies  
6 from EPA and studies from California and other places  
7 that show that fish and aquatic life are affected at  
8 350 parts per million or less.

9                   So I think in order for us to truly say  
10 that we're going to be issuing a rule that's  
11 protective of aquatic life, which DEP has the nerve to  
12 say in this document, we have to put standards in  
13 place that protect them as well. And I'd like to  
14 repeat where I started. No new permits until these  
15 rules are in place and are protective. And that means  
16 no wastewater permit and no drilling permits. Thank  
17 you.

18                   MR. MANFREDI:

19                   Thank you, Ms. Carluccio. Next to  
20 testify is Brian Wagner, Trout Unlimited. Mr. Wagner?

21                   MR. WAGNER:

22                   Hi. My name's Brian Wagner. I'm vice  
23 president of Pennsylvania State Council, Trout  
24 Unlimited. My address is 137 South New Street,  
25 Nazareth, Pennsylvania.

1 Trout Unlimited is the nation's leading  
2 conservation organization dedicated to conserving,  
3 protecting and restoring North America's coldwater  
4 fisheries and their watersheds. We have over 12,000  
5 members in Pennsylvania working at the grassroots  
6 level. And we wish to present these comments on the  
7 proposed changes to 25 Pennsylvania Code Chapter 95.

8 Organizations and agencies have worked  
9 for decades to clean up the waters of the Commonwealth  
10 and have spent billions of dollars and billions of man  
11 hours. Why would we allow all of these efforts to go  
12 to waste? Should we max out the assimilative capacity  
13 of our streams now that we've finally cleaned them up?  
14 I think not.

15 PATU feels that an end of pipe discharge  
16 limit set by DEP is a necessary tool, will aid to  
17 protecting water quality and will provide a more  
18 stringent way to protect designated uses of the  
19 stream. The proposed Chapter 95 standards places an  
20 important tool in DEP's toolbox by requiring the  
21 burden of treatment and the requirement of water  
22 quality protection to the pollution discharger and not  
23 on the downstream users.

24 PATU is supportive of regulations and  
25 policies which will better regulate wastewater, and

1 are protective of water quality and their designated  
2 uses as codified in 25 Pennsylvania Code Chapter 95.  
3 We understand that DEP has set this protective  
4 criteria based on sound science and best available  
5 technology. We understand that the technology is  
6 available to implement and effectively regulate end of  
7 pipe discharges that meet DEP's proposal of 500  
8 milligrams per liter for TDS and 250 milligrams per  
9 liter each for sulfates and chlorides.

10                   These standards will go a long way  
11 towards assuring that the federal drinking water  
12 standards are met across the state for TDS. It is  
13 critical that any TDS wastewater effluent standard be  
14 protective of both drinking water uses and aquatic  
15 life. DEP should not weaken the proposed discharge  
16 standard for TDS. Regulation at the point of  
17 discharge will be helpful in assuring protection of  
18 aquatic life.

19                   We also believe the proposed regulation  
20 is a welcome regulatory means to prevent impairment  
21 and ensure that a TMDL process is not required. In  
22 fact, in some cases a more stringent criteria may be  
23 necessary dependent upon a stream's dilution capacity  
24 and the aquatic life and public health protection  
25 criteria set through Chapter 93.

1                   In order to ensure protection of both  
2 drinking water and aquatic life, the TDS effluent  
3 standard should be stated as a daily maximum, not a  
4 monthly average. All large TDS sources should be  
5 covered by the standard. New sources and new  
6 discharges at existing wastewater facilities should be  
7 required to meet the TDS standards immediately.

8                   Existing sources of large TDS discharges  
9 should be eventually covered through the NPDES permit  
10 renewal process. How TDS will be measured or reported  
11 by dischargers should also be clarified by DEP. We  
12 need these regulations to be in place as soon as  
13 possible to protect both aquatic life and drinking  
14 water sources.

15                   As it was earlier stated, DEP should stop  
16 issuing drilling permits which increase existing  
17 wastewater loads in Pennsylvania streams until both  
18 Chapter 93 and 95 revisions are in place.

19                   DEP must take measures to ensure that  
20 wastewater influent is adequately characterized and  
21 properly sampled to match those of its effluent  
22 sampling requirements. A minimum of at least a dozen  
23 prescreening events would ensure a sampling average  
24 that will provide realistic assessment of the  
25 composition of any influent. This is very important.

1 Adequate staff and funding should be in place,  
2 ensuring that wastewater effluent is meeting the  
3 Chapter 95 regulations.

4           We also feel that the current set of  
5 regulations and policies are not adequate to regulate  
6 the groundwater and surface water impacts and the  
7 contamination that is occurring from all aspects of  
8 drilling operations. Continued permitting of well  
9 pads, production wells and pipelines, particularly in  
10 Exceptional Value and High Quality watersheds, without  
11 effective regulations that require monitoring wells,  
12 design standards and surface and groundwater  
13 protection plans is not fulfilling the Commonwealth's  
14 stewardship responsibilities as required by its  
15 constitution.

16           PATU also requests that if and when the  
17 proposed rule is redrafted, the Department should  
18 afford the public another opportunity for additional  
19 public comment prior to adoption. Any redraft must  
20 effectively address the protection of water resources  
21 from the pollutants found in gas development  
22 wastewaters in a manner which focuses first and  
23 foremost on receiving stream protection and adequately  
24 controls wastewater pollutants of concern.

25           The Commonwealth has the duty and the

1 authority to make these much-needed regulatory changes  
2 to protect aquatic life and human health. Thank you.

3 MR. MANFREDI:

4 Thank you, Mr. Wagner. Don Williams? Is  
5 Don Williams here? Cathy Frankenberg?

6 MS. FRANKENBERG:

7 Thank you for the opportunity to speak  
8 tonight. My name is Cathy Frankenberg and I'm the  
9 program organizer for Clean Water Action in Bethlehem.  
10 We are a national group of over one million people who  
11 are concerned about the environment, public health and  
12 the safety of our drinking water. We are also part of  
13 the statewide coalition called the Campaign for Clean  
14 Water, which counts over 150 community groups,  
15 environmental organizations, sportsman coalitions and  
16 religious organizations among its members.

17 The rush to drill for natural gas on a  
18 massive scale has dangerous implications for  
19 Pennsylvania's waterways. This project requires the  
20 use of millions of gallons of water and produces  
21 millions of gallons of wastewater in return. It  
22 cannot be overstated how toxic this water is. In  
23 fact, Mark Wilson, a marketing manager with G.E. Water  
24 and Process Technologies, has called it, quote, the  
25 worst water on earth.

1           The process by which industry softens and  
2 breaks shale is called hydraulic fracturing, or  
3 fracing for short. These fracing chemicals include  
4 such highly toxic materials as hydrochloric acid,  
5 lead, bromides, arsenic, benzene and radium. In  
6 addition to these chemicals, hydraulic fracturing  
7 wastewater is also three to six times as salty as  
8 ocean water.

9           Although we have --- excuse me. Although  
10 we have only just begun to drill for this resource, we  
11 have already witnessed multiple instances of  
12 contamination. For instance, in Dimock, Pennsylvania,  
13 thousands of gallons of dangerous fracing fluids were  
14 spilled just this September.

15           In Bradford County, there was a spill of  
16 a fluid containing 36 percent hydrochloric acid, a  
17 highly caustic material which can cause severe burns  
18 and blindness at far lower concentrations. And high  
19 levels of total dissolved solids caused --- sorry.  
20 High levels of total dissolved solids caused a large  
21 fish kill in Dunkard Creek in western Pennsylvania.

22           In short, wastewater from drilling has  
23 already caused great harm to Pennsylvania's water  
24 supply. We must now ensure that it does not continue  
25 to do so. Because of the highly toxic nature of this



1 water, we must be exceedingly thorough in the ways in  
2 which we regulate, store, treat and test this water  
3 before it's released.

4           We must not give in to the reckless sense  
5 of urgency to extract as much gas as quickly as  
6 possible. Wastewater from drilling threatens not only  
7 the water used by small ponds like Dimock,  
8 Pennsylvania, but also large bodies of water like the  
9 Delaware River, which supplies drinking water for more  
10 than 15 million people, including much of the Lehigh  
11 Valley as well as the City of Philadelphia.

12           If we do not effectively regulate the  
13 wastewater from drilling from the very beginning, we  
14 could find ourselves with a similar economic burden,  
15 compounding what we are now experiencing from almost  
16 200 years of coal mining in our state. We are still  
17 paying millions of dollars in taxpayer money to  
18 restore those waters now so polluted with acid mine  
19 drainage.

20           Manufacturing industries and farmers in  
21 Pennsylvania depend on clean water for production.  
22 Our second largest industry is the state, tourism,  
23 also depends on clean, fishable streams and healthy  
24 animals and forest. We run the risk of losing these  
25 economic benefits if we underestimate the important of

1 protecting our water in a blind rush to extract gas.

2           While we do commend --- excuse me. We do  
3 commend the proposed Chapter 95 changes to 500  
4 milligrams per liter limit per total dissolved solids  
5 and 250 milligram liter limit for sulfates and  
6 chlorides. However, I am here to ask you to hold the  
7 line. Do not weaken these recommendations. Instead,  
8 I am urging you to strengthen them.

9           While we believe these regulations will  
10 help to ensure the safety of our water supply, we also  
11 suggest that they are not nearly enough to thoroughly  
12 protect our waters. The current recommendations  
13 suggest standards specific to five common contaminants  
14 found in wastewater, TDS or total dissolved solids,  
15 chlorides, sulfates, barium and strontium. This is a  
16 good place to start but we also need to start  
17 standards for other contaminants frequently found in  
18 gas drilling wastewater, like bromides, arsenic,  
19 benzene and radium, all of which are toxic.

20           For example, bromides can cause problems  
21 with water treatment plants that use chlorine by  
22 creating high levels of trihalomethanes, which has  
23 been linked to both bladder cancer and reproductive  
24 problems.

25           Finally, DEP has proposed that these new

1 regulations go into place January 1st, 2011. However,  
2 these new regulations must go into place as soon as  
3 possible. And until then, the DEP should put a  
4 moratorium on granting any new permit for either a  
5 wastewater treatment plant or gas drilling operation.  
6 These efforts will help ensure that we take advantage  
7 of this resource in a way that is cautious and  
8 responsible. Like natural gas, our water is also a  
9 finite resource, one which must be protected for the  
10 generations to come. Thank you.

11 MR. MANFREDI:

12 Thank you, Ms. Frankenberg. One more  
13 call for Don Williams. The next testifier is  
14 Stephanie Wissman.

15 MS. WISSMAN:

16 Good evening. My name is Stephanie  
17 Catarino Wissman. I'm director of government affairs  
18 for the Pennsylvania Chamber of Business and Industry.  
19 Our address is 417 Walnut Street, Harrisburg, 170 ---  
20 or 17101.

21 On behalf of the Pennsylvania Chamber's  
22 24,000 members and customers, we appreciate the  
23 opportunity to provide this testimony concerning DEP's  
24 proposal to amend Chapter 95 to establish an  
25 across-the-board treatment standard for total

1 dissolved solids, TDS, applicable to new or increased  
2 TDS dischargers irrespective of watershed, location,  
3 impact or need.

4                   Since April of this year, the Chamber and  
5 its water work group has worked at a task force with  
6 other members and a number of other industry  
7 organizations, including the Electric Power Generation  
8 Association, Pennsylvania Coal Association,  
9 Pennsylvania Chemical Industry Council, Pennsylvania  
10 Waste Industry Association and others in attempting to  
11 evaluate the potential applicability and impact of  
12 this proposal.

13                   Based on the inputs we received in June,  
14 we prepared and presented to the Water Resources  
15 Advisory Committee, a lengthy working paper which  
16 identifies in some detail the concerns and questions  
17 from a broad spectrum of the regulated community  
18 concerning the Department TDS strategy and the  
19 one-size-fits-all treatment standard approach embodied  
20 in the Chapter 95 proposal now before the EQB.

21                   Since that time, we have continued to  
22 work with the task force to gather additional  
23 information from various impacted sectors.  
24 Concurrently, our representatives have participated in  
25 Department's TDS stakeholders group as a subgroup of

1 WRAC in this process in an effort to better understand  
2 the potential TDS concerns and challenges that may  
3 arise in various watersheds, the impacts of this  
4 proposal and the potential alternative approaches to  
5 addressing possible TDS concerns.

6           Those efforts have served to confirm many  
7 of the concerns that we expressed back in June  
8 regarding this particular regulatory proposal and  
9 emphasized that we must indeed find another path. The  
10 Department's TDS strategy and these proposed Chapter  
11 95 regulations have broad, substantial and  
12 far-reaching impacts upon a broad spectrum of  
13 Pennsylvania manufacturing and commercial operations.  
14 But those consequences and effects appear not to have  
15 been afforded appropriate assessment, consideration  
16 and balancing.

17           We believe that irrespective of the  
18 worthiness of its objections, these Chapter 95  
19 standards coupled with its fast-track deadlines are  
20 ill-advised and unworkable, generating what will  
21 become an impending crisis in wastewater management  
22 that threatens the ongoing viability of a number of  
23 key sectors and enterprises.

24           As we stated in June, it is essential  
25 that the Department work with all affected sectors and

1 stakeholders to first develop a better understanding  
2 of the real TDS challenges in terms of affected  
3 streams and conditions, constituents and related  
4 causes.

5                   Second, evaluate the options for  
6 addressing those TDS challenges. Third, carefully  
7 evaluate the technical and economic feasibility and  
8 effectiveness of each of the treatment technologies  
9 that might be used for various types of TDS  
10 constituents, including key issues regarding  
11 management and disposition of their resulting  
12 residuals. And fourth, reframe a strategy and  
13 approach to more effectively address the real  
14 TDS challenges in a common sense and cost-effective  
15 manner.

16                   In the near future, we will be submitting  
17 detailed comments to the EQB on the Chapter 95  
18 proposal. However, let me briefly note six key points  
19 of the Chamber's working paper. One, to be effective,  
20 Pennsylvania's strategy must be developed with a much  
21 more focused and accurate understanding of the  
22 specific streams evidencing TDS challenges, specific  
23 constituents and hydraulic conditions that lead to TDS  
24 issues and the primary sources of those constituents  
25 and loadings.

1           The primary rationale in the new  
2 statewide end of the pipe treatment standard proposed  
3 in Chapter 95 appears to be the observation of TDS  
4 challenges in a limited number of streams, such as the  
5 Mon River in western Pennsylvania. Many of which are  
6 predominantly impacted by drainage from abandoned  
7 mines. And the observation of elevated TDS conditions  
8 were limited to extreme and extended low-flow  
9 conditions.

10           The studies and surveys cited in the TDS  
11 strategy and shared with the TDS stakeholders group do  
12 not evidence that we face a statewide TDS problem, but  
13 rather suggest an issue that affects specific streams  
14 and stream breaches under certain hydraulic  
15 conditions. A close examination of those studies  
16 further indicates that the sources and challenges in  
17 each watershed are different and one across the board  
18 solution will not be efficient or effective.

19           Two, before adopting and implementing the  
20 type of treatment limits as set forth in the proposed  
21 Chapter 95, DEP must develop an accurate understanding  
22 of the newer sectors affected by the limits and  
23 evaluate the technical and economic feasibility of  
24 eliminating --- or excuse me, implementing the  
25 proposed TDS limits in each of those sectors.

1           The proposed definition of high TDS  
2 sources sweeps in a wide range of industrial  
3 enterprises far beyond those mentioned in the TDS  
4 strategy, including the electric power generators,  
5 petroleum refining, chemical manufacturing, iron and  
6 steel manufacturing, pharmaceuticals, meat packing,  
7 food processing and others.

8           Third, in each of these affected sectors,  
9 the technologies available to address the high TDS  
10 wastewaters are limited subject to varying  
11 capabilities depending upon the matrix of constituents  
12 in the individual wastewaters and pose significant  
13 technical and economic feasibility issues.

14           As detailed in the Pennsylvania Chamber's  
15 June 2009 working paper, the primary technology's  
16 proffered to meet the limits mandated by this  
17 proposal, reverse osmosis, evaporation and  
18 crystallization, are energy-intensive, very expensive  
19 from both a capital and operating cost standpoint and  
20 leave a significant volume of residuals, concentrated  
21 brine or salt cake, which pose unresolved management  
22 and disposal issues.

23           Moreover, none of these technologies can  
24 be engineered, pilot tested, permitted and installed  
25 in anything like the 18-month time frame envisioned by



1 the TDS strategy. As just one example, an evaporation  
2 crystallization facility designed to handle one  
3 million gallons per day of brine would require 87  
4 million kilowatt hours of electricity annually.  
5 That's the equivalent of electric demand of some  
6 11,300 households.

7                   Plus, 262,800,000 cubic feet of natural  
8 gas annually that would generate nearly 60,000 tons of  
9 greenhouse gas carbon emissions per year. As another  
10 example, for just one power plant, the estimated cost  
11 of brine concentrator and crystallizer to handle air  
12 scrubber wastewater is \$62 million in capital plus  
13 \$4.5 million per year in O&M.

14                   Multiplied across the fleet of electric  
15 generating stations with current and planned scrubber  
16 units, the proposed Chapter 95 rule would engender a  
17 demand for several billion dollars in investments.

18                   Four, all potentially available TDS  
19 treatment technologies present a substantial  
20 unresolved challenge concerning management of the  
21 resulting treatment residuals, whether they be  
22 concentrated brines in RO reject water or the salt  
23 cake sludges of crystallization units. The sheer  
24 volume of residuals associated with implementing these  
25 proposed rules, which equates to literally thousands

1 of tons of salt cake per year, should alone be cause  
2 for careful review and reconsideration.

3           Five, the 18-month time frame for  
4 implementation of TDS treatment is wholly unrealistic  
5 and unachievable. Given design, pilot testing,  
6 permitting equipment, lead time and construction steps  
7 outlining in both the Chamber's comments and in the  
8 presentations of various sectors provided to the TDS  
9 stakeholders group, a minimum of a 36-month time frame  
10 is involved in development of high TDS treatment  
11 facilities.

12           And that assumes that all design and  
13 testing prove that the technology is feasible and that  
14 the residual challenge can be met.

15           Six, the draft Chapter 95 leaves a number  
16 of series of unresolved questions in terms of  
17 applicability and implementation, including how the  
18 rules apply to facilities with multiple existing  
19 sources and outfalls, B, situations involving high TDS  
20 source water, C, the impacts and the strategy on water  
21 conservations and D, the process for determining  
22 baselines and increases in TDS concentrations and  
23 loadings.

24           As a bottom line, the Chamber believes  
25 that water quality management should realistically

1 address the instream needs and requirements of  
2 Pennsylvania streams based on the best scientific  
3 information available. Given the unique TDS  
4 challenges for some streams, we believe the Department  
5 should adopt a more flexible for regulating TDS and  
6 its constituents and discharges, considering  
7 assimilative capacity under different load conditions.

8           Every effort must be made to explore  
9 without preconceptions. Every creative alternative an  
10 opportunity for addressing TDS concerns that is  
11 capable of protecting our environment and also  
12 preserves our industry. Indeed, we believe that some  
13 of the options discussed at the TDS stakeholders group  
14 offer a more realistic and rational approach to  
15 addressing those TDS challenges that may affect some  
16 streams with actions that can be implemented well  
17 before we can fund the cost set of impaired instream  
18 quality.

19           We look forward to continuing to work  
20 with the Department in examining and pursuing such  
21 better approaches. Thank you.

22           MR. MANFREDI:

23           Thank you, Ms. Wissman. The next  
24 testifier is Will Quale.

25           MR. QUALE:

1           Good evening. My name is Will Quale.  
2 I'm the issues and research director for Joe Hoeffel's  
3 campaign for governor. Commissioner Hoeffel is deeply  
4 concerned with the many issues surrounding Marcellus  
5 Shale, advocating responsible policies which balance  
6 the creation of jobs and revenue with strong  
7 regulations to protect our health and environment.  
8 I'm here tonight to express his comments on the DEP's  
9 proposed Chapter 95 revisions to wastewater treatment  
10 standards.

11           The Marcellus Shale Natural Gas Reserve  
12 represents a tremendous opportunity for Pennsylvania.  
13 The creation of thousands of jobs for Pennsylvanians,  
14 an economic stimulus to communities and businesses  
15 across the Commonwealth and important revenue from  
16 extraction taxes, which we will pass and use to help  
17 the DEP, Growing Greener and other environmental  
18 agencies.

19           But we must approach this opportunity  
20 carefully and manage it responsibly. The stakes are  
21 high and protecting ourselves and our environment must  
22 come first. We must take strong, swift action to  
23 ensure drilling is conducted safely and responsibly.  
24 And the proposed Chapter 95 revisions are a very good  
25 start. But we believe aspects of the DEP's proposal

1 should be even stronger to provide greater protection  
2 for the Commonwealth.

3           We agree with the DEP's proposal of 500  
4 milligrams per liter for total dissolved solids and  
5 250 milligrams per liter each for sulfides, sulfates  
6 and chlorides. And we urge the DEP not to weaken  
7 these proposals. The TDS, sulfates and chlorides  
8 standards proposed will help ensure federal safe  
9 drinking water standards are met across Pennsylvania.

10           We further encourage the DEP to add  
11 discharge standards for additional contaminants  
12 frequently found in natural gas drilling wastewater.  
13 We hope the DEP will adopt strict standards for levels  
14 of arsenic, benzene, bromides, magnesium and radium in  
15 wastewater. These contaminants pose great  
16 difficulties to water treatment facilities and are  
17 toxic to both humans and wildlife.

18           We urge the DEP to clearly express each  
19 discharge standard as a daily maximum, not as a  
20 monthly average. We also urge the DEP to clearly  
21 forbid dilution of wastewater as a means of avoiding  
22 the applicability of these limits. It is imperative  
23 that the DEP enact these regulations as swiftly as  
24 possible.

25           Moreover, we ask that the DEP not issue

1 new drilling and discharge permits until the Chapter  
2 95 revisions are in place. The wastewater from future  
3 natural gas wells must be regulated by these new  
4 standards for contaminant levels. The threat to our  
5 public health and our environment if we do otherwise  
6 is too great.

7                   Finally, we would like to see the DEP  
8 exercise caution in issuing new drilling and discharge  
9 permits until an EPA conducted cumulative water usage  
10 study can be conducted so we can better understand the  
11 wide-ranging effects of wastewater contaminants on the  
12 Delaware River Watershed.

13                   Strong regulations for generation,  
14 treatment and reuse of Marcellus Shale gas drilling  
15 wastewater are critical in order for Pennsylvania to  
16 safely benefit from the tremendous economic potential  
17 of the Marcellus Shale Natural Gas Reserve.  
18 Commissioner Hoeffel thanks the DEP for its excellent  
19 start on this work to protect the health and safety of  
20 our Commonwealth and for the opportunity to offer  
21 recommendations on these issues. Thank you.

22                   MR. MANFREDI:

23                   Thank you, Mr. Quale. Our next testifier  
24 is Carroll R. Williams.

25                   MR. WILLIAMS:

1                   Good evening. I'm Carroll Williams,  
2 Northampton, Pennsylvania. I represent the  
3 Environmental Committee and incoming president of  
4 Lehigh Valley Telecom Pioneer Club. Since retiring in  
5 1991, I've been very active with the Telecom Pioneer  
6 Club of Lehigh Valley. One of my mentors of the  
7 Pioneers has been the chairman of our environmental  
8 committee, whose task it is to monitor the quality of  
9 the river --- or the quality of water of the Lehigh  
10 River at two specific points.

11                   These points are mile marker 7.8 and  
12 16.7. These markers relate to the distance of the  
13 testing site from the Delaware River at Easton,  
14 Pennsylvania. The tests have been made every two  
15 weeks from 1984 to 2007 and determine the amount of  
16 nitrogen, nitrate, dissolved oxygen, pH phosphate and  
17 the temperature of the errant water. In addition to  
18 the physical tests, we are cognizant of the overall  
19 condition of the testing area.

20                   Since 2007, tests have been made only at  
21 Canal Park boat ramp and Allentown, Pennsylvania.  
22 This change in testing has the approval of the  
23 Delaware River Keeper Network headquartered in  
24 Bristol, Pennsylvania. During the quarter century of  
25 continuous monitoring, there have been only two

1 environmental problems.

2           One of them, Bethlehem Steel in the late  
3 '90s, and the other adjacent to Canal Park at the boat  
4 ramp in 2000. Our Pioneer monitor observations were  
5 successful in averting what could have been a more  
6 serious impact on the environment. Both conditions  
7 were corrected immediately after the discovery without  
8 major impact on the quality of the water of Lehigh.

9           I suppose you might say that's the good  
10 news. Now for the bad news. American industry in  
11 general has had a horrible record where the  
12 environmental is concerned. The period began during  
13 the American Revolution and continued to --- pardon  
14 me, continued through 2009. Most companies have laid  
15 waste to the environment at an alarming rate. This is  
16 especially true with the mining industry in  
17 Pennsylvania, anthracite and bituminous coal industry.

18           I have no data showing the amount of land  
19 that has been ruined as a result of mining interest  
20 but the evidence is easy to see all around whenever a  
21 person travels in the Commonwealth. Starting with the  
22 hundreds of huge coal banks in the Carbondale,  
23 Honesdale, Scranton, Wilkes-Barre, Hazelton areas, I  
24 would submit that with little reclamation these  
25 devastated areas have been overtaken.



1           Similar ruin can easily be seen in the  
2 western part of the Commonwealth as a result of  
3 bituminous coal industry. The raping of the landscape  
4 has been allowed to accumulate as a result of two  
5 factors. One, greed and ignorance of the owners to  
6 assume responsibility for their deleterious acts. And  
7 two, local and state and federal governments for their  
8 lax enforcement actions over the decades.

9           Governmental laws have permitted unsavory  
10 owners to walk away from their cleanup  
11 responsibilities, left to the taxpayer to correct.  
12 Two major catastrophes immediately come to mind. One,  
13 the underground coal fires in Cetrionia, Pennsylvania  
14 may have started accidentally in an exposed coal vein.  
15 But \$40 million of taxpayers' money and 47 years  
16 later, the fires still burn uncontrollably underground  
17 for many miles.

18           Two, another unfortunate incident was a  
19 1959 collapse of the underground mine site adjacent to  
20 the Susquehanna River caused by the Knox Coal Company.  
21 Knox frequently ignored safety regulations and  
22 tunneled further out under the Susquehanna River  
23 bottom than it was legally allowed to. Twelve (12)  
24 miners died and countless taxpayer dollars were spent  
25 in the massive cleanup effort.

1           In addition to these disasters, there are  
2 countless mine accidents that result in significant  
3 loss of life and in property damage. All of these are  
4 common threads, greed on the part of the owners, an  
5 inability or ignorance of government to adequately  
6 police the industry.

7           While the events that I refer to have  
8 more direct burden on the gas industry or the water  
9 discharge concern, they do, in fact, have a common  
10 thread, lack of adequate government oversight and the  
11 greed on the part of respective companies. Is that  
12 gas industry's immune to these traits? Hardly.

13           When profits narrow, safety is one of the  
14 first aspects that are sacrificed. The safety can  
15 involve the actual drilling of the wells, the  
16 associated tailings that result in unwanted  
17 wastewater. It is paramount that the following  
18 regulation be in place before any permit is issued.  
19 Precise standards, that is, specifications, governing  
20 all phases of the actual drilling operation and the  
21 associated water discharge aspect based upon actual  
22 data, with no built-in loophole. Protection from  
23 water discharge impacting the watershed of existing  
24 homes as well as river and streams. Viable protective  
25 the standards are required. Currently, the

1 Commonwealth is not able to meet the required  
2 standards to protect the community. This reflects  
3 irresponsibility on the part of the Commonwealth.  
4 Determination before permits are issued on the impact  
5 of underground water supplies and the building  
6 process. All loopholes that are presently included in  
7 various regulations must be removed so that the  
8 quality and safety of life will, under any  
9 circumstance, not be compromised.

10                   Passing onto respective drilling  
11 companies' all costs associated with the preparation,  
12 monitoring and reclamation of the environment. I  
13 suggest that all these costs be identified and placed  
14 in what I call the new reclamation trust fund to be  
15 used to restore the environment.

16                   In summary, the past --- that is, the  
17 subject of the drilling has been captured underground  
18 for millions of years. Whether the drilling takes  
19 place in 2009, 2010 or later is basically a moot  
20 point. Encapsulated gas will still be there. The one  
21 important point that we ask is the timing for the  
22 market forces.

23                   This means that the Commonwealth must be  
24 certain that active regulations and safeguards are in  
25 place before one spade of dirt is turned in order to

1 ensure that the environments protected as well as the  
2 wellbeing of the impacted Commonwealth residents.  
3 Anything short of this is definitely not acceptable.  
4 Thank you.

5 MR. MANFREDI:

6 Thank you, Mr. Williams. The next  
7 testifier is Janet Keim, fellow Citizens Advisory  
8 Council Member.

9 MS. KEIM:

10 My name is Janet Keim. I'm a member of  
11 the Lehigh Watershed Coalition. I live on 11 West  
12 Pine Street, Emmaus, Pennsylvania. In reference to  
13 Chapter 95 code revisions, regulations to the control  
14 of discharges from Marcellus Shale gas drilling are  
15 needed immediately to protect our streams and rivers.

16 Discharges from water use in fracturing  
17 from permitted gas drilling have already polluted  
18 wells and streams. Permits have been issued without  
19 having any regulations in place. This is contrary to  
20 DEP's core mission. I'd like to read a part of DEP's  
21 core mission from their own document.

22 The Department of Environmental  
23 Protection's mission is to protect Pennsylvania's air,  
24 land and water from pollution and to provide for the  
25 health and safety of its citizens through a cleaner

1 environment. We will work as partners with  
2 individuals, organizations, governments and business  
3 to prevent pollution and restore our natural  
4 resources.

5           It further states under pollution  
6 prevention paragraph, we promote the goal of zero  
7 discharge through pollution prevention and encourage  
8 compliance, assistance and problem solving to stop  
9 pollution before it starts. Under Pennsylvania's  
10 Environmental Rights Amendment to our constitution,  
11 Article One, Section 27, DEP has a legal mandate to  
12 protect our finite natural resources.

13           Because of the lagging economy, economic  
14 development pressure to relax environmental  
15 regulations has become a serious issue. All segments  
16 of the community must understand that we all need  
17 quality water and that this resource is finite. Once  
18 destroyed, it cannot be replaced.

19           There is a constitutional right, a legal  
20 right, to protect and preserve our water. If anyone  
21 is aware of a legal or a constitutional right to allow  
22 economic development to occur that downgrades or  
23 destroys our finite natural resources for immediate  
24 profit, may I please have a copy? Please adopt and  
25 enforce regulations that will protect the streams,

1 rivers and aquifers of Pennsylvania.

2 MR. MANFREDI:

3 Thank you, Ms. Keim. Excuse me. The  
4 next testifier is Jane Benning.

5 MS. BENNING:

6 I'm Jane Benning, 3111 Douglas Road,  
7 Allentown, Pennsylvania. My comments are concerning  
8 DEP's Chapter 95 proposed wastewater regulations. Do  
9 not dilute the standards. We need strong standards to  
10 protect our drinking water. I strongly urge you to  
11 protect our state's drinking water regarding the  
12 Marcellus wastewater.

13 We cannot always be guided by greed but  
14 must protect our finite resources such as water.  
15 Marcellus wastewater contains a mix of heavy metals,  
16 including arsenic and lead, and toxic chemicals, such  
17 as benzene, that can cause cancer.

18 Also, this wastewater is generally three  
19 to six times saltier than seawater and has already  
20 changed some freshwater streams in Pennsylvania into  
21 saltwater environments.

22 We need safe drinking water. And DEP's  
23 proposal of 500 milligrams per liter for total  
24 dissolved solids and 250 milligrams per liter each for  
25 sulfates and chlorides will go a long way toward

1 ensuring that our drinking water supplies will not  
2 have unsafe levels of these contaminants.

3           We need these regulations in place as  
4 soon as possible to protect our rivers and drinking  
5 water. There should be no drilling permits given out  
6 until wastewater rules are in place. Existing or  
7 proposed wastewater plants should also be stopped by  
8 DEP for polluting our rivers and they should be made  
9 to follow these new rules.

10           DEP should add discharge standards for  
11 those contaminants that are frequently found in the  
12 Marcellus Shale gas drilling wastewater. These  
13 include bromide, benzene, arsenic, radium and many  
14 others. These are toxic to humans and, in many cases,  
15 cannot be removed by water treatment systems.

16           DEP needs to ensure that all aspects of  
17 the generation of Marcellus wastewater are regulated.  
18 Under current laws, there are not requirements to  
19 track wastewater from the drilling site to the  
20 treatment plant. And there is not oversight over the  
21 reuse of Marcellus wastewater.

22           Attached I have a news article which was  
23 printed in the Morning Call. And I'd like to read it  
24 to you. This is regarding residents are suing the gas  
25 driller, citing contaminated wells. Cabot Oil and Gas

1 Corporation polluted their drinking sources with its  
2 drilling practices, they claim. This is in Dimock,  
3 Susquehanna County. And I believe one of the other  
4 speakers referred to that incident.

5           Pat Fanelli says there's something in the  
6 drinking water at her house. The last time she drank  
7 it, she says she vomited four times. It makes her  
8 children sick also. Like her neighbors in this rural  
9 community 15 miles south of the New York border,  
10 Fanelli signed a lease with a major national gas  
11 driller to explore a potentially lucrative formation  
12 beneath her land.

13           Now Fanelli and others are Plaintiffs in  
14 a lawsuit that alleges Houston-based Cabot Oil and Gas  
15 Corporation polluted their wells with methane gas and  
16 other contaminants, destroying the value of their  
17 homes and threatening their health. A Cabot spokesman  
18 said the lawsuit filed late Thursday in federal court  
19 was without merit.

20           At a news conference Friday to announce  
21 the suit, residents described an ordeal that began  
22 shortly after Cabot started drilling near their homes.  
23 And I think it gets very interesting as we go along.  
24 The water that came out of their faucets suddenly  
25 become cloudy and discolored, and it smelled and



1 tasted foul.

2                   Then on New Year's Day, a resident's  
3 water well exploded, prompting a state investigation  
4 that found Cabot had allowed combustible gas to escape  
5 into the region's groundwater supplies. They were  
6 never told that this was even a possibility, said Alan  
7 Fuchsberg an attorney for the Plaintiffs.

8                   More than a dozen families have filed  
9 suit, asking for an environmental cleanup, medical  
10 monitoring and money damages in excess of \$75,000  
11 each. The State Department of Environmental  
12 Protection has determined that 13 wells were polluted,  
13 signing consent decrees with Cabot earlier this month  
14 in which the company agreed to pay a \$120,000 fine,  
15 take steps to improve its drilling operations and  
16 restore or replace the affected water supplies.

17                   This is after the fact. This is after  
18 the fact. Pennsylvania regulators citing three  
19 chemical spills at a single well site in Dimock in  
20 September halted Cabot's use of a drilling technique  
21 that used liquids to fracture rock and release natural  
22 gas. Cabot was permitted to resume hydraulic  
23 fracturing or fracing, as I've seen some signs held  
24 up, several weeks later, after DEP said the company  
25 took steps to prevent a recurrence. The spills are

1 cited in the residents' lawsuit. Cabot spokesman Ken  
2 Komoroski said Friday that the company has not  
3 admitted to polluting residents' wells. He said a  
4 company investigation continues.

5           On one hand, if Cabot caused a methane  
6 contamination, certainly its understandable why  
7 everyone is upset and Cabot will address that  
8 solution, he says, but I wonder how they'll feel if at  
9 some point it's proven that Cabot didn't cause it,  
10 that all this anger and frustration has been based on  
11 a false premise. And we just don't know yet.

12           Cabot is among a slew of exploration  
13 companies that are drilling in Marcellus Shale, a  
14 layer of rock deep underground that experts say holds  
15 vast stores of largely untapped natural gas. Once  
16 again, we are at it with our greed and that's the main  
17 driver of things. And I must say I think  
18 Pennsylvania's one of the most guilty. Thank you for  
19 this opportunity.

20           MR. MANFREDI:

21           Thank you, Ms. Bennett. The next  
22 testifier is Matthew McConnell.

23           MR. MCCONNELL:

24           My name's Matthew McConnell. I'm at 6073  
25 Clauser Road in Orefield, Pennsylvania. I am the

1 conservation chair in the Lehigh Valley group of  
2 Pennsylvania Chapter Sierra Club. And I have a  
3 statement from the Sierra Club.

4           The Sierra Club supports an energy policy  
5 that moves us toward the clean energy future.  
6 However, we do not support natural gas drilling if it  
7 causes harm to the environment. At present, drilling  
8 for gas in the Marcellus Shale is causing harm to the  
9 waters of this Commonwealth because the wastewater  
10 produced is discharged untreated into our streams.

11           The Department of Environmental Resources  
12 has finally recognized the discharge of untreated  
13 wastewater from Marcellus gas wells as an  
14 environmental problem. Discharge limits are now being  
15 proposed under 25 PA Code Chapter 95. There are two  
16 sources of wastewater from Marcellus gas wells,  
17 flow-back water from the fracing process and produced  
18 water.

19           Flow-back water can contain many  
20 contaminants. According to the United States  
21 geological survey fact sheet on Marcellus Shale, for  
22 gas to flow out of the shale, nearly all of the water  
23 injected into the well during the hydrofrac treatment  
24 must be recovered and disposed of. In addition to the  
25 problem of dealing with large bulk volumes of liquid

1 waste, contaminants in the water may complicate  
2 wastewater treatment. Whereas the percentage of  
3 chemical additives in the typical hydrofrac fluid is  
4 commonly less than .5 percent by volume, the quantity  
5 of fluid used in these hydrofracs is so large that the  
6 addition --- that the additives in three million  
7 gallons of a hydrofraced job, for example, would  
8 result in about 15,000 gallons of chemicals in the  
9 waste.

10                   Along with the introduced chemicals,  
11 hydrofraced water is in close contact with the rock  
12 during stimulation treatment and when recovered may  
13 contain a variety of formation materials, including  
14 brines, heavy metals, radio nuclides and organics that  
15 can make wastewater treatment difficult and expensive.  
16 The formation brines often contain relatively high  
17 concentrations of sodium, chloride, bromide and other  
18 inorganic constituents such as arsenic, barium, other  
19 heavy metals and radio nuclides that significantly  
20 exceed drinking water standards.

21                   Our freshwater river systems, the  
22 Allegheny, Monongahela, Susquehanna and Delaware  
23 Rivers, and our smaller streams do not have the  
24 assimilated capacity to absorb the heavy metals and  
25 brines from these waste streams. TDS causes toxicity

1 to water bodies to increases in salinity, changes in  
2 the ionic composition of the water and toxicity of  
3 individual ions. A major concern associated with high  
4 TDS concentrations relates to the direct effects of  
5 increased salinity on the health of aquatic organisms.  
6 Increases in salinity have caused a shift in biotic  
7 communities.

8                   We support the three major effluent  
9 limitations announced by DEP in this regulation. The  
10 discharge may not contain more than 500 milligrams per  
11 liter of TDS as a monthly average. The discharge may  
12 not contain more than 250 milligrams per liter of  
13 total sulfates as a monthly average and 250 milligrams  
14 of total chlorides as a monthly average. We believe  
15 each is necessary to maintain water quality in our  
16 streams. We hope that these will be the first in a  
17 series of measures taken to ensure responsible gas  
18 drilling that does not degrade the environment.

19                   One other point. The equipment from out  
20 of state, brought in from out of state to perform the  
21 work, should be sanitized so as not to spread  
22 materials that aren't receptive. Thank you very much.

23                   MR. MANFREDI:

24                   Thank you, Mr. McConnell. The next  
25 testifier is Sarah Caspar.

1                   MS. CASPAR:

2                   Hi. I'm Sarah Caspar. I'm a League of  
3 Women Voter member. I've worked for U.S. EPA for  
4 several years. Oh, sorry. This better? Okay. I'm  
5 Sarah Caspar. My experience with water, drinking  
6 water and wastewater is 16 years with U.S. EPA. And I  
7 am very familiar with particularly waste and problems  
8 with waste, and the problems that our rivers in  
9 Pennsylvania already have had, regardless of the  
10 Marcellus Shale drilling.

11                   What goes into the Marcellus Shale  
12 drilling is a matter that we do not know what the  
13 entire number of chemicals are because some of that is  
14 left out because of --- what is it called? Business  
15 ---? Thank you.

16                   And we do know that the water that has  
17 come out has created a situation in some rivers and  
18 streams that creates a media that kills fish. So if  
19 this is happening then there is something wrong with  
20 our system so far of measuring the toxicity of this  
21 water.

22                   If the regulations are going to apply  
23 with what comes back out, how are they going to test  
24 it? What means of testing are they going to use? And  
25 is that water going to be potable when they're

1 finished? In other words, can we drink it? It's not  
2 just the streams that are going to be affected. It's  
3 us, our groundwater, what we drink, what comes out of  
4 the tap. And we have enough problems with that  
5 already. We don't need to make them worse.

6 Marcellus Shale drilling, I heard on the  
7 radio, NPR, in coming up here, that it is --- it's the  
8 hope for Pennsylvania, for employment for gas. So  
9 it's got to happen. And that's not what I'm saying.  
10 I'm not saying don't let it happen. I'm saying if we  
11 let it go and let continue, then we've got to take ---  
12 put the protections in place so that we are not hurt  
13 by it, so that our wildlife is not hurt by it, our  
14 fish, us. And that's the important message that ---  
15 that's what I feel is most important here. That's it.

16 MR. MANFREDI:

17 Thank you, Ms. Caspar. The next  
18 testifier is Jason Marmon.

19 MR. MARMON:

20 First of all, I apologize for my voice.  
21 It's getting over a little cold. I'm here on behalf  
22 of Congressman Joe Sestak. He gives his regards. He  
23 was not able to make it here today. But I am his  
24 environmental energy legislative assistant, so he has  
25 directed me to come up and read a statement on his

1 behalf.

2                   I want to thank the Environmental Quality  
3 Board for holding these public hearings and commend  
4 them for the recognizing of risks that expanding  
5 natural gas drilling poses to our health, environment  
6 and our communities. I also want to thank everyone  
7 who has attended and participated tonight and at the  
8 other meetings held this week.

9                   I believe in responsible development of  
10 Pennsylvania's energy resources, including natural  
11 gas, as part of a transition to a cleaner, more  
12 renewable and more secure energy supply. In  
13 Pennsylvania alone, there are several hundred trillion  
14 cubic feet of natural gas, enough to supply this  
15 country's demand for decades to come.

16                   Natural gas can boost our economy and cut  
17 our dependency on foreign oil. And it also causes  
18 less than half of the carbon emissions of coal,  
19 allowing for us to reduce our impact on climate change  
20 in the near term.

21                   Our abundant natural resources are a  
22 blessing for our Commonwealth. We should never have  
23 to sacrifice our health and our safety, clean air and  
24 water, natural lands and communities to companies  
25 seeking to access our natural wealth. Clear



1 regulations and strict accountability to violators can  
2 protect us from abuse and carelessness. Reasonable  
3 fees can offset the cost of these protections and  
4 provide a sustainable investment in Pennsylvania.

5           Done improperly, drilling can seriously  
6 harm our health, safety, environment and land values.  
7 It should be done only with clear and transparent  
8 reporting and strong oversight. That's why I've  
9 written to the Secretary of DEP Energy in the  
10 Department to make its report on oversight on drilling  
11 operations readily available to the public.

12           It's also important that Pennsylvanians  
13 know that this drilling, called hydrofracing, falls  
14 under the so-called Halliburton loophole that was  
15 lifted through President Bush's energy bill in 2005  
16 and allows energy companies to ignore the rules of the  
17 Federal Safe Drinking Water Act. These protections  
18 exist for a reason.

19           Fracing involves huge amounts of water  
20 laced with chemicals that has already contaminated  
21 drinking water in several counties in Pennsylvania.  
22 That is why I cosponsored the Frac Act to close this  
23 loophole. I also helped pass legislation calling for  
24 the EPA to look into threats this drilling method  
25 poses to our water supply.

1 Right now Pennsylvania legislature and  
2 the DEP have the power and responsibility to protect  
3 the people of Pennsylvania from the potential harmful  
4 effects of drilling. The wastewater regulations we  
5 are commenting upon tonight are a start, but much more  
6 needs to be done.

7 New regulations should not favor by  
8 grandfathering use of older, less capable treatment  
9 processes at the expense of encouraging the use of  
10 state of the art facilities. Regulations should cover  
11 all major components of fracing water so that harmful  
12 substances don't end up in our streams and rivers.

13 Furthermore, the Commonwealth owes it to  
14 this and future generations to make sure drilling does  
15 not cause irreparable harm to our natural resources,  
16 especially protecting our state lands. I believe that  
17 the state legislation of DEP must establish clear and  
18 effective regulations prior to further expansion of  
19 drilling in order to decide how best to protect our  
20 citizens and our natural resources.

21 There is no doubt in my mind that if  
22 proper forces come to bear, this can be done and done  
23 quickly so that we can move into a new era of economic  
24 prosperity for the Commonwealth while ensuring  
25 Pennsylvanians that their health and natural resources

1 are adequately protected.

2           I am not convinced we currently have  
3 strong enough environmental health and property  
4 safeguards. And I'm not satisfied that the people  
5 will have the access to just compensation, should even  
6 the best safeguards fail.

7           Let's take lessons from an earlier  
8 generation of energy development. Acid mine drainage  
9 is the legacy of abandoned coal mines. It has left  
10 over 2,500 miles of deteriorated streams and 250,000  
11 acres of contaminated land in Pennsylvania at the  
12 expense of \$15 billion to clean up.

13           We have a real opportunity in  
14 Pennsylvania to benefit from the resources of  
15 Marcellus Shale, one of the largest natural gas  
16 resources on the planet. There is no reason to allow  
17 this bounty to ultimately turn out to be a net harm  
18 for our state and our families. Let's not cash in on  
19 our resources today in a way that causes  
20 disproportionate harms, brings little lasting benefit  
21 and results in a greater cost in the future.

22           This is our state. These are our  
23 resources. Let's utilize them in a way that is best  
24 for all people of Pennsylvania and for generations  
25 that follow.

1                   MR. MANFREDI:

2                   Thank you, Mr. Marmon. The next one is  
3 15. And I'm not sure. I've been told I received a  
4 separate list. So the numbers you were assigned may  
5 be different. I'll tell you what I will do for  
6 everyone's convenience. I will read off the names in  
7 order. If anyone wants to go use the facilities or do  
8 whatever you may need to do, you can do that.

9                   I apologize in advance if I'm  
10 mispronouncing your names. Darree Sicher, Jan Little,  
11 Larry Mankies, Katherine Lewis, Leah Zerbe, Erin  
12 Crump, George Weitzel or Weitzel (changes  
13 pronunciation), Susan Norris and Faith Zerbe. Also if  
14 there is anyone who would like to sign up to testify,  
15 I'll put a sign-up sheet here.

16                   UNIDENTIFIED SPEAKER:

17                   I mean, I signed up quite a while ago and  
18 I'm wondering if my name is on the list.

19                   UNIDENTIFIED SPEAKER:

20                   And I signed up before some other people  
21 and my name isn't ---.

22                   MR. MANFREDI:

23                   Well, if you're here and you want to  
24 testify, you're going to be allowed to testify. Those  
25 are all the names that I was given. So please feel

1 free. And do you have a pen you can use ---?

2 OFF RECORD DISCUSSION

3 MR. MANFREDI:

4 And again, the next person is Darree  
5 Sicher. Was I close?

6 MS. SICHER:

7 Yeah. Hello. Thank you for the  
8 opportunity to speak. My name's Darree Sicher. I'm  
9 with a group called United Sludge-Free Alliance. So  
10 first of all, one of the things I like about a  
11 gathering like this is the different ages. I'd like  
12 to see a little more color in the crowd, but we get  
13 what we can. So this is what democracy looks like.  
14 Thanks for coming out, folks.

15 So as a member of our democracy, I  
16 absolutely anticipate that our representative of the  
17 Department of Environment and everybody involved will  
18 hear the requests of the community, the neighbors and  
19 taxpayers.

20 There has been a lot of discussion  
21 already tonight about the concerns about water quality  
22 before and after discharge. So you might wonder what,  
23 aside from me being like a human here on earth and  
24 consuming water, what United Sludge-Free Alliance  
25 would have to do with this issue. So what I'd like to

1 do is put a little point on the comments of people  
2 talking about, well, we need treatment of the  
3 wastewater. So what does that mean? What does that  
4 mean?

5 I jotted down a little bit of info about  
6 our --- in Pennsylvania, just some of our larger  
7 rivers, watershed areas because this is not like a new  
8 issue. This year in April of 2009, Atlantic States  
9 Cast Iron Pipe Company of Phillipsburg, New Jersey,  
10 was sentenced to an \$80 million fine for contaminating  
11 the Delaware River. This was the fourth criminal  
12 prosecution of this one company since 2005.

13 Delaware River's within a one-day drive  
14 of 40 percent of all the U.S. Population. Forty (40)  
15 percent is within a one-day drive of the Delaware  
16 River. That's really important. 7.2 billion people  
17 rely on the Delaware Watershed for their water, plus  
18 another 7 million just is New York City and New  
19 Jersey. That's why this is important.

20 Chesapeake Bay Watershed includes six  
21 states. I was amazed by that. Six states are to the  
22 Chesapeake Bay Watershed. Our new administration has  
23 made the Chesapeake Bay Watershed issue so important  
24 because it's so polluted. Six states, 16.6 million  
25 people live within the Chesapeake Bay Watershed area.

1           The Susquehanna River shed, over four  
2 million people just in the Susquehanna. Susquehanna  
3 Basin accounts for 45 percent of Pennsylvania. So  
4 when we're talking about a water pollution issue, it's  
5 not your town or my town or our town. It's not a  
6 political boundary. It's not a township. It's not  
7 even a state. All of this goes to the Atlantic. And  
8 all of this is what we consume.

9           So here's some interesting things that  
10 we're finding in studies of water. Manganese is  
11 linking to cancer is both water and airborne.  
12 Endocrine disruptors found in water. Endocrine  
13 disruptors are the things that are --- for instance,  
14 your reproductive organs. Where they're finding  
15 intersex fish and frogs downstream from wastewater  
16 treatment plants. So if you think because it's  
17 treated its safe, guess again.

18           Resistance. They're finding every  
19 --- the EPA found that every wastewater treatment  
20 plant that they checked carried 11 pharmaceuticals in  
21 the water that was released that was considered safe.  
22 We're finding MRSA on our beaches. MRSA actually ---  
23 there's more deaths from MRSA than there are from  
24 AIDS. MRSA is not tested for in wastewater treatment  
25 plants and yet they are finding that malaise.

1           A sevenfold increase in autism in areas  
2 of California, and studies have found that that's  
3 environmental. That's also the areas where they use  
4 the waste from the wastewater treatment plant, the  
5 water effluent that comes out, they use that to water  
6 the plants that we eat.

7           In 2002, the EPA actually recognized that  
8 there have been no studies of the human effects of ---  
9 they actually have never studied how safe sewage  
10 sludge is for humans. And all of this is using  
11 all of these watersheds that I was just talking about,  
12 Pennsylvania gets the most sewage sludge in the entire  
13 nation. We import from five states the most sludged  
14 counties are Berks and York. They're also the largest  
15 farm communities. So your food is growing in it.

16           I just want you to know this because what  
17 is going to happen with this treated waste from the  
18 Marcellus Shale issue? Okay. Who's treating that?  
19 The EPA is our national regulator. They only require  
20 testing for nine elements, nine of the hundreds of  
21 thousands that we find --- of chemicals,  
22 pharmaceuticals, viruses. Nine elements, mercury,  
23 arsenic, molybdenum, nickel, selenium, cadmium,  
24 copper, lead, zinc. No pharmaceuticals, no viruses,  
25 no --- they have two indicators, E. Coli and



1 salmonella. 2007, the EPA themselves found 145  
2 chemicals in every single wastewater treatment plant  
3 that they checked. So I'm just pointing this out.  
4 They found metals, fire-retardants, pharmaceuticals,  
5 hormones. The EPA, in fact, released an article a  
6 couple weeks ago stating that, gee, maybe we should  
7 check how these things interact together.

8           So when we're releasing this wastewater  
9 from the Marcellus Shale issue and pouring it into our  
10 creeks or putting it back into our communities, they  
11 never, never tested how these things interact. We see  
12 a rise in cancer around the country. That's  
13 everybody, whether it's Mr. Gasman, Mr. Troutman, Mr.  
14 EPA man, Mr. DEP. All of our families are getting  
15 this. All of our families are getting this water.  
16 All of our families are eating this food.

17           So that's really a snippet about this  
18 sludge issue. I put a paper out on --- it's on  
19 radiation and the water effluents in Rohrsburg,  
20 radiation in the Schuylkill River and that's from the  
21 laundry facility at Limerick. But guess what? They  
22 don't have a test for radiation or sewage sludge on  
23 their food source. They found that it's because of  
24 being dumped at a landfill.

25           So in fact, there's stricter rules to

1 dump stuff in a landfill, then the effluent's coming  
2 out of the wastewater treatment plant and the sludge  
3 is being used for watering fields.

4           My concern is who is going to watch this  
5 issue? In an effort to balance our state budget, our  
6 state DEP, in fact, just had a 30 percent cut. They  
7 were the largest cut to balance the budget. So  
8 Department of Environmental Protection is overloaded  
9 as it is. Last year a lot of the fuss was about the  
10 animal --- puppy mills. That actually was the same  
11 budget that was supposed to be watching the sludge  
12 issue. So biologists were left with no money, because  
13 it was all used for puppy mills.

14           And I'd absolutely talked about the  
15 sludge issue more. But the main thing I wanted to  
16 point out, excellent article in The New York Times  
17 about tap water is legal, how it may not be healthy.  
18 And I just want to put a little quote here. Only 91  
19 contaminants are regulated by the Safe Water Drinking  
20 Act --- or Safe Drinking Water Act. Sorry. So check  
21 that out. You can get online on for The New York  
22 Times. And Charles Abdalla who --- also was author  
23 interviewed by NPR today.

24           So I just want to --- I'll just close it  
25 up. As an important part of our democracy, we really

1 have to refrain from the influence of any of the  
2 individuals or industries who will be benefiting from  
3 the business deal to be participating in the  
4 rulemaking. We don't have to be the United States of  
5 Amnesia.

6           We just got through this with the banking  
7 industry. We just got through this with so many  
8 things where if the person who's in charge of making  
9 the rules is the person who's benefiting, we're the  
10 ones who pay the price. We may have energy needs, but  
11 there are other options, and our health should not be  
12 the last option, whether it's adopting the water from  
13 the Marcellus Shale issue, or refracing or dumping  
14 sewage sludge --- which for those who maybe don't  
15 know, it's not just our human waste, it's all  
16 industry, business, hospital, all of that squeezed and  
17 treated and tested for nine things before they're  
18 being put on your food source. So who's going to  
19 watch our wastewater with this Marcellus Shale when  
20 we've had a 30 percent cut in the folks who were  
21 supposed to watch it?

22           And so I think that's probably about my  
23 thing for the day. And I'm really --- I guess my  
24 final point is we have to protect the people, not the  
25 policy. And so I would say a moratorium on the

1 drilling, a moratorium on the wastewater treatment  
2 plants. And take care of our bodies before we take  
3 care of industry. Thank you.

4 MR. MANFREDI:

5 Thank you very much, Ms. Sicher. The  
6 next person is Jan Little.

7 MS. LITTLE:

8 Good evening. My name's Jan Little. And  
9 I'm at 6029 Helen Drive in Allentown, PA, 18104. And  
10 I'm here tonight to give key points on DEP's proposed  
11 changes to Chapter 95 wastewater treatment  
12 requirements. And I'm also a registered dietician.  
13 I'm licensed in Pennsylvania. And it's funny. When  
14 we develop diet patterns and work with our patients  
15 about their nutrition issues, one of the first things  
16 we talk about is water, you know.

17 And personally, when I'm dealing with  
18 this, some work dealing with oh, how many ccs should I  
19 recommend for doing tube feedings and that kind of  
20 thing for people who drink their water out of the tap.  
21 And I have to admit, I never think about these issues,  
22 I'm so concerned with how much. But it's definitely  
23 --- the safety of our water definitely is of high  
24 importance, through I know I'm speaking to the choir  
25 with you.

1 I am concerned about the effect of  
2 drilling in the Marcellus Shale on our drinking water  
3 which is an essential nutrient for our public. My  
4 four points, we need safe drinking water. I don't  
5 want to have to think about it like I'm learning to do  
6 tonight. DEP's proposal of 500 milligrams per liter  
7 for total dissolved solids and 250 milligrams per  
8 liter for each for sulfates and chlorides will go a  
9 long way towards ensuring our drinking water supplies  
10 will not have unsafe levels of TDSs and these other  
11 contaminants.

12 And I'm learning tonight, that may not be  
13 enough, that just to focus on those three items  
14 probably really isn't enough at the least to adhere to  
15 that safety level for those three. So DEP should not  
16 weaken the proposed discharge standards for total  
17 dissolved solids.

18 Two, we need these regulations to be in  
19 place as soon as possible to protect our rivers and  
20 drinking water. DEP should stop giving out more  
21 drilling permits, we've heard that tonight, until  
22 wastewater rules are in place. DEP should also stop  
23 allowing existing or proposed wastewater plants to  
24 pollute our rivers until we follow these new rules.

25 Three, DEP should add discharge standards

1 for those contaminants that are frequently found in  
2 the Marcellus Shale gas drilling wastewater. These  
3 include bromides, arsenic, benzene, radium, magnesium  
4 and possibly others. Many of the contaminants are  
5 toxic for humans and very difficult for drinking water  
6 systems to remove.

7 My daughter was in Philadelphia and it's  
8 really hard to hear about how these types of things go  
9 downstream into the City of Philadelphia, which we  
10 well know, uses chlorine to help make the water safe.  
11 And it's hard to hear that that's developing a whole  
12 other compound that's unhealthy for my daughter and  
13 1,500,000 others that live in that city.

14 Four, DEP needs to ensure that all  
15 aspects of the generation of Marcellus wastewater are  
16 regulated. Currently there are no requirements to  
17 track wastewater from the drilling sites to treatment  
18 plants. And there is no oversight over the reuse of  
19 the Marcellus wastewater. Thank you.

20 MR. MANFREDI:

21 Thank you, Ms. Little. The next  
22 testifier is Larry Mankies.

23 MR. MANKIES:

24 Good evening. My name is Larry Mankies.  
25 I live at 741 Clifford Street in Warminster,

1 Pennsylvania in Bucks County. And I am a  
2 representative of CERCLAPA which was part of the Post  
3 Carbon Institute and now it's part of Transition  
4 United States. And I deal with energy and climate  
5 issues as well as some related issues. I am also with  
6 a number of other organizations in our area, including  
7 the Delaware Valley Regional Planning Commission, the  
8 Bucks County Chamber of Commerce's Environment  
9 Committee and my township's environmental advisory  
10 council.

11 I worked on a project in Bucks County  
12 which is one of the top tourist destinations in the  
13 United States. And we've been hit pretty hard in the  
14 recession as well as any other area. And this project  
15 goes from the Pennypack Creek on the Delaware all the  
16 way up through our township and Ivyland, and up to New  
17 Hope on the Delaware, which has suffered from floods  
18 and is in serious financial straits.

19 I know that energy is very important.  
20 But I believe that more important is the watershed  
21 that we all live and depend on. And this is a very  
22 serious issue. I know that energy is very serious  
23 right now. However, this is a nation that wastes at  
24 least a half to three-quarters of the energy we use.  
25 I am a building energy auditor. I know this for a

1 fact. I know just listening here.

2           And that's probably the first thing we  
3 should do about energy. Now, water is emerging as a  
4 great concern we have. A third of the water in the  
5 United States is already polluted badly. A third of  
6 it's threatened. And in this area, we had some of the  
7 last third of the best of water. And the Delaware  
8 River is certainly a tremendous resource.

9           Now, I'm not going to get technical with  
10 this. What we're seeing here is what they call the  
11 tragedy of the commons who profitize the profits and  
12 commonize the costs. This has been going on in this  
13 culture since they founded this nation, maybe even  
14 before that.

15           But I want to get back to the commonsense  
16 of this. We only have one planet. We only have one  
17 State of Pennsylvania. We only have one set of rivers  
18 and interconnecting watersheds. And the rivers and  
19 the streams are really the veins and the blood supply  
20 of this planet. And the oceans are threatening, and  
21 we really can't afford to make any more serious  
22 threats than we already have.

23           And I propose something that's very  
24 simple. I mean, since we're all in this together, I  
25 think there should be a way for all us to sit down, to



1 stop the process until we can agree on a safe and  
2 sensible way that suits everyone's needs, including  
3 the needs of my grandchildren and my great grandchild  
4 that lives in Lancaster County.

5           Now, this area has some of the best  
6 resources around for dealing with conflicting issues  
7 and demands. The International Institute for  
8 Restorative Practices is in this area. They have some  
9 of the finest people in the world for mediating and  
10 conflict resolution. And they do it in a way that  
11 really honors people.

12           And I think that there are better ways  
13 for both our regulators and our citizens and our  
14 businesses to come together rather than in a hostile  
15 way. Now, it's obvious to me in only a week of being  
16 involved in this issue that there is a lot of passion  
17 on the side of people that fear what's going on. And  
18 this is not a tolerable situation.

19           There is enough bad record of bad  
20 incidents to justify the fears. And this is something  
21 that we really can get together on. We don't need the  
22 energy. It's going to be more valuable as time goes  
23 on. We don't need it today. And we have the time to  
24 work this out. And this should, in all common sense,  
25 be worked out among us together, not through a

1 mediator like the DEP, which is doing a good job under  
2 the adverse circumstances that they are. This is  
3 something we really need to all get together on. And  
4 that's all I have to say.

5 MR. MANFREDI:

6 Thank you, Mr. Mankies. The next  
7 testifier is Katherine Lewis.

8 MS. LEWIS:

9 My name is Katherine Lewis Sarsfield. I  
10 live at 8120 Eastern Avenue in Wyndmoor, Pennsylvania,  
11 Springfield Township, Montgomery County. I am here as  
12 a Pennsylvania citizen and a mother of two young boys.  
13 I am also cofounder and director of a nonprofit  
14 environmental organization called Sustainable  
15 Springfield.

16 Sustainable Springfield is located, as I  
17 said, in Springfield Township, Montgomery County,  
18 which lies within the Wissahickon Valley Watershed.  
19 Sustainable Springfield has over 100 people who I have  
20 the great honor to represent here today.

21 Springfield itself is a small township  
22 just outside Philadelphia. We have roughly 8,000 ---  
23 I'm sorry, 18,000 residents. We mainly get our water  
24 from the Delaware River with some exceptions for  
25 residents that have wells. My family, like many

1 thousands of others living in my township and in the  
2 Philadelphia region, drink, cook with, bathe in and,  
3 in general, use the water we get from the Delaware  
4 every day.

5           We all rely on this source of water in  
6 order to live. And like many households, too, across  
7 this region, we cook and heat our homes with natural  
8 gas. But natural gas at what cost? At what cost are  
9 we willing to have natural gas heat our house and cook  
10 our food? Are we willing to have heat but not clean  
11 water? Are we willing to give up one vital natural  
12 resource for another?

13           A Native American once said in speaking  
14 about the Alberta Tar Sands that oil is money and  
15 water is life. And for us humans, all organic life,  
16 clean water is vital to our existence. It is the  
17 difference between life and death. Heating and  
18 cooking are mere comforts which can and, because of  
19 global warming, we should find alternatives to.

20           Clean water, on the other hand, is  
21 critical for us and our environment. I am not a  
22 chemist, but I do know public policy. I know what we  
23 are talking about here today is a choice for you, the  
24 policymakers, the Environmental Protection  
25 Organization, it is your choice between public health

1 and our environment and short-run economic profits.

2           When this Native American spoke about oil  
3 being money, it is true. We all realize that oil  
4 companies have a great deal of power and money here in  
5 the United States. Does that mean that they have the  
6 power to take our clean water away and pollute it?

7           In Pennsylvania, these companies have put  
8 up huge investments, probably millions of dollars in  
9 ad campaigns plastering the airways and print media  
10 with positive advertisements to sell Pennsylvanians  
11 onto natural gas drilling. These ads are all too  
12 surreal, especially when we examine the places that  
13 these companies have already been.

14           Gas drilling has devastated areas of  
15 Colorado and Texas, where people near wells have  
16 suffered serious health problems from hydrogen  
17 sulfide, methane and other gases, which are released  
18 during the drilling process. In Colorado there have  
19 been over 1,400 known leaks, of which 23 contaminates  
20 are in the water in the areas of the wells. In these  
21 areas, wildlife has also suffered because of  
22 contamination of the wells. In Fort Worth Texas,  
23 there have been four earthquakes since drilling began  
24 there. Now, here in Pennsylvania, wells have been  
25 releasing radioactive gases. Many people have already

1 spoken about all the horrible things that have already  
2 occurred. And yet all of this for short-run profits.

3 I say short-run because these companies  
4 will be gone in five years or ten years. But we will  
5 be left with the legacy. At what cost? But you ---  
6 well, we really, and DEP have an opportunity. We have  
7 an opportunity here today to have at least a  
8 beginning.

9 And Sustainable Springfield respects and  
10 supports the DEP's proposed limits as a beginning to  
11 limit the total discharge of solid levels in  
12 wastewater discharges. We ask that the DEP not weaken  
13 its proposed discharge standards for the TDS. We also  
14 ask that these regulations be implemented as soon as  
15 possible so that our rivers and drinking water may be  
16 protected.

17 Sustainable Springfield asks that the DEP  
18 stop giving out more drilling permits until wastewater  
19 rules are in place. We also ask that the DEP hold all  
20 existing or proposed wastewater plants to the new  
21 rules, i.e., no grandfathering.

22 We ask that the DEP add discharge  
23 standards for those contaminants that are frequently  
24 found in Marcellus Shale Gas drilling wastewater.  
25 They've already been mentioned but bromides, arsenic,

1 methane, radium, magnesium. Many of these  
2 contaminants, as we understand, are not able to be  
3 removed by wastewater management for drinking water.

4           We are relying on DEP to ensure that all  
5 aspects of this generation and Marcellus wastewater  
6 are regulated. We understand that currently there are  
7 no requirements to track wastewater and drilling sites  
8 to treatment plants. And there should be a record of  
9 responsibility, some sort of paper trail, of the  
10 quality of fracked water being transported, and signed  
11 receipts for each delivery.

12           There should be strict oversight. We  
13 know what happens without oversight. We've seen it  
14 here in Pennsylvania. You can see it across the  
15 country. And I speak for Sustainable Springfield. I  
16 speak as a citizen of Pennsylvania. I speak as a  
17 mother. And I say that we do not want this for  
18 Pennsylvania and our communities.

19           I will leave with one last quote, which  
20 is a quote ---. When the last tree is cut, when the  
21 last river is emptied, when the last fish is caught,  
22 only then will man realize that he cannot eat money.  
23 Thank you very much.

24           MR. MANFREDI:

25           Thank you. The next testifier is Leah

1 Zerbe.

2 MS. ZERBE:

3 Hello. My name's Leah Zerbe and I am a  
4 resident of 702 Mountain Road, Pine Grove, PA. Thank  
5 you for holding this hearing. Like I said, my name's  
6 Leah Zerbe and I am a resident of Schuylkill County, a  
7 place that was once home to a thriving coal industry.

8 Most of the local coal companies have  
9 pulled out long before I was born. But even today,  
10 decades later, you can see the damage unchecked fossil  
11 fuel exploration that was created. The industry is  
12 gone but we, the taxpayers, are stuck with the orange  
13 streams, the tainted wells and the bill to slowly try  
14 to clean up. And we're also paying for this pollution  
15 with our health.

16 Speaking from experience living in coal  
17 country and knowing the high price we pay for  
18 extracting fossil fuel energy in an unchecked and  
19 reckless way, I urge DEP to stop issuing all gas  
20 permits immediately and to not reinstate the  
21 permitting process because there are no discharge  
22 standards in place at this time for the total  
23 dissolved solids, chlorides and sulfates.

24 With the recent news that Exxon is  
25 jumping into the natural gas game, it's clear that

1 Pennsylvania is going to become ground zero for  
2 natural gas drilling. DEP cannot justify risking the  
3 safety of millions of people's drinking water to  
4 create jobs. That's why you need to stop the  
5 permitting process until strong discharge standards  
6 are in place.

7           Using the fracing process, the only way  
8 to drill for natural gas in a cost-effective way here,  
9 natural gas companies will be exposing millions of  
10 people to the potential 200 plus contaminants used in  
11 the process, including pesticides, radioactive  
12 material and other carcinogens.

13           Research from all over the world has  
14 found that even low levels of these contaminants in  
15 drinking water can lead to an increased risk of birth  
16 defects, miscarriage, developmental problems and  
17 cancer. DEP, please halt drilling until strict rules  
18 are put in place and enforced to protect health.

19           In closing, I'd like to say that fracing  
20 for natural gas is energy-intensive, polluting and  
21 it's anything but clean. While the flame that burns  
22 on our stovetop might be, the inefficient drilling  
23 methods are polluting clean water with a cocktail of  
24 200 chemicals. DEP's job isn't to be green-washed by  
25 industry. It's to protect the environment and all of



1 us who live here.

2 MR. MANFREDI:

3 Thank you. The next testifier is Erin  
4 Crump.

5 MS. CRUMP:

6 Hi. I'm Erin Crump. I live at 1440  
7 Granary Road in Blue Bell, Pennsylvania. I'm the  
8 founder of a local environmental group in the  
9 Wissahickon Valley Watershed called Wissahickon  
10 Growing Greener. I use gas to heat my home and cook  
11 my family meals. I drink the water from my faucet and  
12 I give my children a bath before they go to sleep.

13 Over the past few weeks, I've been  
14 educated on the horrors caused by the process of  
15 hydraulic fracturing for natural gas, not just in my  
16 state but all over the country. Not long ago I  
17 learned of the Halliburton Burton loophole in the 2005  
18 energy bill. I'm appalled that this loophole exempts  
19 oil and natural gas industries in the Clean Water Act,  
20 the Clean Air Act, the Safe Drinking Water Act, the  
21 Superfund Law and others.

22 I recently learned of the plans to drill  
23 for natural gas in the Marcellus Shale in Pennsylvania  
24 and I have become aware of how these plans could  
25 directly affect the health of people in my community

1 as well as the millions of other lives across  
2 Pennsylvania.

3 I've become informed about the method of  
4 hydraulic fracturing. This process blasts water and  
5 tons of sands and chemicals some 8,000 feet into the  
6 ground to fracture the Marcellus Shale and release  
7 natural gas. There are over 200 chemicals used in  
8 this process, chemicals that are endocrine disruptors,  
9 carcinogens, neurotoxins and many other toxic  
10 additives present in the fracturing liquid.

11 The companies doing the drilling are not  
12 required to disclose the names of all the chemicals.  
13 Instead, they list them as proprietary components.  
14 One to five million gallons of water is used each time  
15 a well is drilled. And that same one to five million  
16 gallons of water is used each time they frac again, up  
17 to 18 times.

18 If there are only 1,600 wells in  
19 Pennsylvania, that's 1,600 wells times one million  
20 gallons of water times 18 times. And that's almost 29  
21 billion gallons of water infused with this toxic  
22 fracturing liquid. And this estimate's on the low  
23 end.

24 One of the most bothersome contaminants  
25 of wastewater is a gritty substance called total

1 dissolved solids, or TDS, a mixture of salts and other  
2 minerals that lie deep underground. Drilling  
3 wastewater contains so much TDS that it can be five  
4 times as salty as seawater. Gas companies currently  
5 dispose of their wastewater in Pennsylvania's  
6 municipal sewage plants, which is then discharged into  
7 rivers and streams.

8                   In an October 2008 press release, the  
9 U.S. EPA warns against this form of treatment because  
10 the plants aren't equipped to remove TDS or any  
11 chemicals the water may contain. Of even more  
12 concern, TDS can disrupt the plant's treatment of  
13 ordinary sewage, including human waste.

14                   Now, where are they going to get the  
15 water for all this fracing? It'll be taken out of our  
16 precious freshwater resources. We are fortunate to  
17 still have fresh water here. But billions and  
18 billions of gallons of it will be taken for the  
19 fracturing process.

20                   Where is all the fracing liquid  
21 wastewater going to go? It'll be stored in containers  
22 or lined pits and then trucked away. Will these  
23 containers leak? Will the liners leak? Will the  
24 chemicals evaporate into the air and blow in my  
25 direction? Who's going to make sure they won't? And

1 if they do, who's going to make sure the chemicals are  
2 clean?

3                   Are the municipal sewage plants to  
4 continue taking drilling wastewater, even though none  
5 of them can remove the TDS? Will it be dumped in the  
6 Delaware River to be diluted to a safe level? If we  
7 don't know what's in the fracturing liquid, how can we  
8 maintain the dilution will be safe? We can't monitor  
9 for chemicals if we can't identify them or their  
10 concentration. This wastewater's going to get into  
11 well water, aquifers, streams and contaminate the  
12 water we bathe our children in, the water we put in  
13 their glasses to drink.

14                   We know this is going to happen. It has  
15 already happened across the United States and in  
16 Pennsylvania. As recently as November, DEP officials  
17 reportedly fined Capital and Oil. We just heard this  
18 tonight. Because its natural gas drilling operations  
19 polluted 13 water wells in Susquehanna County, PA.  
20 Once the frac water migrates from the surface to the  
21 water table, there's no easy way to prevent the spread  
22 of contaminants.

23                   George Zimmerman in Washington County,  
24 PA, said that Atlas Energy ruined his land with toxic  
25 chemicals used in or released there by hydraulic

1 fracturing. There are suits being filed for claims  
2 for residents in many gas drilling areas in the United  
3 States that fracing pollutes private water wells with  
4 toxic chemicals and threatens widespread contamination  
5 of aquifers from which many households draw their  
6 drinking water.

7                   Soil samples there detected mercury and  
8 selenium above official EPA limits as well as  
9 ethylbenzene, a chemical used in drilling, and  
10 trichloroethylene, a naturally-occurring but toxic  
11 chemical that can be brought to the surface by gas  
12 drilling. Rural residents who live near gas drilling  
13 say their water has become discolored, foul-smelling  
14 or even flammable because methane from disturbed gas  
15 deposits have migrated into their well.

16                   DEP is proposing changes to Chapter 95,  
17 which would limit TDS levels in wastewater discharges  
18 because it determined that some state waterways don't  
19 have the ability to absorb the increased levels of  
20 TDS. According to a Penn State report, most of the  
21 water used to prepare gas wells is between 800  
22 milligrams per liter TDS and 300,000 milligrams per  
23 liter of TDS.

24 The industry estimates the amount of such high TDS  
25 wastewater being disposed in Pennsylvania will

1 increase from about 9 million gallons per day in 2009  
2 to nearly 20 million gallons per day by 2011.

3           So I say this. We need to stop, think  
4 and evaluate the situation before we head down a road  
5 we can't turn back. Stop giving these permits to  
6 drill until we know what chemicals we're dealing with,  
7 their concentration, how this chemically-laden  
8 wastewater will be dealt with responsibly. We have  
9 enough tumors, enough respiratory issues and enough  
10 cancer. What we need is a plan, a well thought-out  
11 plan. One that learns from the history of water  
12 contamination and health risks in Fort Worth, Texas,  
13 and Rifle, Colorado. One that says clean water does  
14 not ignite from methane. I am not asking that we  
15 don't drill. But I am asking for a safer method of  
16 production and disposal of wastewater.

17           Thank you, DEP, for trying to change  
18 Chapter 95 and require high TDS discharges to be  
19 diluted to at least 500 milligrams per liter. But  
20 it's not enough. Other contaminants are in the  
21 Marcellus Shale gas drilling water that we know about,  
22 like arsenic and methane. What about the others we  
23 don't know about because of the Halliburton loophole  
24 and the lack of disclosure from these drillers? What  
25 about the radioactive materials? What about the air

1 pollution? Think about the 800 gallons of diesel fuel  
2 needed to run each well every day. What about the  
3 noise pollution, the destruction of forested areas and  
4 the increased erosion? What about the inability of  
5 fish to survive such high TDS in their water?

6                   This is not someone else's problem. This  
7 is my problem. This is our problem. Let's find ways  
8 to reduce the amount of natural gas that we use.  
9 Let's make our homes and businesses more energy  
10 efficient and supplement energy use with solar or wind  
11 power.

12                   By your own accounts, the DEP's Bureau of  
13 Oil and Gas Management regulates the safe exploration,  
14 development and recovery of Marcellus Shale natural  
15 gas reservoirs in a manner that will protect the  
16 Commonwealth's natural resources and the environment.  
17 Your plan will be acceptable when you are able to  
18 reach for a nice, tall glass filled up with treated  
19 wastewater product and then let your children drink  
20 it. Thank you.

21 OFF RECORD DISCUSSION

22 BRIEF INTERRUPTION

23                   MR. MANFREDI:

24                   The next testifier is Faith Zerbe.

25                   MS. ZERBE:

1 My name is Faith Zerbe. I reside at 379  
2 Upland Way in Drexel Hill, Pennsylvania. And I'm also  
3 a biologist with Delaware River Keeper Network. I  
4 spend a lot of time in the streams. And everybody's  
5 done such a great job about talking about the  
6 statistics and the pollution that we have caused. And  
7 I thought I'd commend everybody who is not a scientist  
8 who really has a good grasp of the issues at hand.

9 Tonight I want to do more of a personal  
10 story and then get into a little bit of the  
11 statistics. I grew up in Schuylkill County as well.  
12 My sister Leah talked a little bit earlier. My two  
13 grandfathers were coal miners. My one grandfather  
14 died of black lung because the coal mining industry  
15 didn't have the right respirators at the time. And my  
16 other grandfather, when they brought in the pillars,  
17 as it was called, up in the coal mining region in  
18 anthracite, he hit a pillar. It got too thin and it  
19 caved in and it killed him instantly. So we have sort  
20 of a personal tragedy or tragedies in our family.

21 But in addition to that, I grew up where  
22 the streams were orange; right? We have iron pirate  
23 in those areas. We have manganese and aluminum. Even  
24 when you have a stream that's crystal clear and you  
25 think it's beautiful, when you actually go in and you



1 pick up the rocks to look at the little critters that  
2 live there, the bait for the food chain for our fish,  
3 they're not there. They're not present. They're  
4 gone. The stream is sterile. And that's where I grew  
5 up; right? Where my mom said Faith, you can't be  
6 playing in that stream, it's not allowed. That's  
7 where I started my days. And I did bring again ---  
8 and someone talked eloquently about it. But I did  
9 bring a picture of the typical, you know, orange  
10 streams in Schuylkill County. This is an example.  
11 We have a lot of groups, Headwaters Association,  
12 Eastern Pennsylvania Coalition of Abandoned Mine  
13 Reclamation, working really hard to clean up these  
14 streams. This is an example of a case where a citizen  
15 wants to have \$20 million. He wants to try to put in  
16 a plant to treat the iron oxide coming out into the  
17 river, \$20 million.

18                   And people have spoken so eloquently  
19 about the impact. Again, the common, we're cleaning  
20 it out. The communities are there. But I want to say  
21 is our lives and our community are not without  
22 corporate interest. Other than a town that's now  
23 depressed --- we have lots of bars and pubs. Yeah, it  
24 was a big anthracite boom in the day. And now what's  
25 left?

1                   And the really degrading part is I don't  
2 have a say in it; right? I was a child. These  
3 decisions were made. And in a lot of cases, the  
4 people are saying hey, there were holes back there.  
5 Its abandoned mine drainage even though the companies  
6 are still certainly working and they've just moved to  
7 different areas. But there were really no --- there  
8 were no regulations in place.

9                   So now here we are again. We have the  
10 same issue coming up; right? The same issue. We have  
11 this history. Pennsylvania has a history. And  
12 everyone's talking about it. Everyone that's sees  
13 this saga has lived it in some way or another. And  
14 what we're seeing now in the upper and the middle  
15 Delaware; right, as a biologist, I go out to these  
16 streams that are proposed in these areas. And the  
17 diversity of these streams are amazing. Pennsylvania  
18 has 86,000 stream miles. That's really more stream  
19 mile than any other state besides Alaska, 86,000  
20 miles.

21                   And of that, we have what's called High  
22 Quality streams and Exceptional Value streams. Those  
23 are supposed to be the cream of the crop streams.  
24 Those streams that through the Clean Water Act and  
25 through anti-degradation are not to decline in

1 quality. And in this same areas, in the upper  
2 Delaware and middle Delaware, these high quality  
3 streams is the place where the Marcellus Shale is  
4 underlaying.

5                   So other than Philadelphia, I've lived in  
6 places where we see stormwater issues. We see a lot  
7 of basic quality problems. But when I got up to the  
8 upper and middle Delaware, it really is still the  
9 cream of the crop. And this is where we're going to  
10 be drilling for natural gas. And it's absolutely  
11 unacceptable.

12                   And the TDS standards, yes, this is a  
13 step in the right direction but we need stronger TDS  
14 standards. And in those areas, if we are drilling in  
15 those areas and we have the brine --- the woman before  
16 me spoke very eloquently about 800,000 to 300,000 TDS  
17 in the brine that could be the least, which we've seen  
18 in places like Dimock already. We need to have a  
19 better aquatic life standard. Again, anti-degradation  
20 requires the state to protect both High Quality and  
21 Exceptional Value streams for the critters that live  
22 there too in addition to our drinking water with the  
23 500 milligrams per liter.

24                   We've seen some studies, juvenile fish, I  
25 believe it was striped bass, there was an EPA study

1 that was done. And they found that juvenile fish,  
2 when you has TDS levels of 350 milligrams per liter,  
3 they weren't able to reproduce successfully. So we  
4 need stronger standards and we need an aquatic life  
5 standard.

6 We certainly need a moratorium. Everyone  
7 spoke so eloquently about that. And I hope we all  
8 build together, team up together. We can do this.  
9 Outside there are some River Keeper fact sheets.  
10 There is Clean Water Action fact sheets. Please sign  
11 up if you haven't been part of that group. And  
12 together we can hopefully get good standards. Thank  
13 you.

14 MR. MANFREDI:

15 Thanks. The next testifier is Ann Dixon.

16 MS. DIXON:

17 I'm Ann Dixon. I live in Philadelphia,  
18 4523 Osage Avenue. I'm here with a group called  
19 Protect Our Waterways, but I'm speaking only for  
20 myself tonight.

21 I have a gas stove and I heat my house  
22 with gas. And I'm grateful for it. Gas drilling is  
23 bringing in some much-needed dollars to a few people.  
24 After years of doing without, people who have drilling  
25 on their property can now pay bills easily and save

1 some money.

2                   So that's the plus side of drilling as  
3 it's currently done, convenient heat and some money,  
4 which is important. On the negative side of drilling,  
5 how it's currently done, is death to human beings due  
6 to massive water pollution. The many negative things  
7 that people do to nature won't be felt for decades.  
8 But this issue is immediate. At least one person has  
9 already died.

10                   All drilling needs to stop until  
11 regulations are in place to protect drilling waters.  
12 I mean drilling should stop today. Now. Simply  
13 diluting our solid wastewater doesn't work. The DEP's  
14 proposal of 500 milligrams per liter for total  
15 dissolved solids will help. That's good. And  
16 wastewater needs to be tracked from drilling sites to  
17 treatment plants.

18                   Are there any Environmental Quality Board  
19 members here tonight? One person? I thought you were  
20 for the Advisory Board. It's the same?

21                   MR. MANFREDI:

22                   The Citizens Advisory Council to DEP is  
23 18 appointees, 6 from the governor, 6 by the Senate, 6  
24 by the House. So I am a governor appointee. Of those  
25 18, they elect five citizens to the Environmental

1 Quality Board to go along with the other members of  
2 the Environmental Quality Board. I am one of those  
3 citizens sitting on the Environmental Quality Board.  
4 And I'm here this evening to chair this hearing and  
5 listen to what you have to say.

6 MS. DIXON:

7 Okay. That is fine. One person. Is  
8 there anybody else from the DEP here tonight? Thank  
9 you for coming. I really appreciate it. So what I  
10 would like to say to both of you is I'm sure that  
11 you're under pressure from gas company officials to  
12 keep the status quo. I feel you. So do something  
13 nice for yourself. Stand up and be a hero. Stand up  
14 and be a hero. Save the people you serve from  
15 polluted water death by keeping our drinking water  
16 safe. Thank you.

17 MR. MANFREDI:

18 Thank you, Ms. Dixon. Next testifier is  
19 Sandra Folzer.

20 MS. FOLZER:

21 I'm Sandra Folzer. I live at 101 Maple  
22 Avenue in Erdenheim, PA, which is in Springfield  
23 Township. So I'm part Sustainable Springfield. Let's  
24 see. I guess I want to start with --- I don't want to  
25 repeat because people have been very good about so

1 many different points.

2                   I'm here because I believe that water is  
3 so, so precious. And I am deathly afraid of the  
4 future. I read the paper. And I looked at today's  
5 paper. The front of The New York Times, as someone  
6 already mentioned, was an article about water and how  
7 just because it's legal doesn't make it safe. I would  
8 say at least once a week on the head, front page of  
9 The New York Times is an article about water shortages  
10 or water problems.

11                   Not only do I live here in --- you know,  
12 near --- outside of Philadelphia but I also have a  
13 farm in upstate Tioga County. And I want to tell you  
14 that the summer before last my neighbor, who is  
15 selling leases, who visits me often, wants me to sign,  
16 and a year ago last summer he was saying please sign.  
17 He said it's only for five years. He said I'm in the  
18 business. He said I can tell you, we aren't going to  
19 be drilling for a very long time. It's perfectly  
20 safe. We'll just make money. Well, I never signed.  
21 I could have made a quarter of a million dollars. I  
22 didn't sign because I was afraid.

23                   Already this summer, you know, these  
24 wells are popping up so fast. I think the gas  
25 companies know that their time may be short. And if

1 you didn't believe in this cause before, you really  
2 need to see one of these wells or see the pollution  
3 that they caused. They look like a disaster site.  
4 Some people have described them as super --- every gas  
5 well is a potential superfund site. And I think  
6 that's true. And of course, you know, who's going to  
7 be paying for it? They have these open pools because  
8 they don't have any place to put all this polluted  
9 chemical waste. It's not even water. We call it  
10 wastewater but it's really industrial fluid. And I  
11 know that in holding tanks friends have said that  
12 they've seen them just leaking. And they erode and  
13 they go into the streams. They're already doing a lot  
14 of pollution. And of course they assure you that  
15 they're perfectly safe.

16           By the way, I know that some people have  
17 said that this is a boom for Pennsylvania because it's  
18 bringing a lot of business in. The study that that  
19 was based on out of Penn State was a flawed study.  
20 The people who did the study were paid \$100,000 by the  
21 gas industry. It is not an accurate study. And when  
22 they talk about bringing jobs in, we know all the  
23 states and our neighbors talk about the people coming  
24 in from Oklahoma to do these jobs. So take the  
25 business wealth that we're going to get out of this



1 with a grain of salt.

2                   Probably --- of course, I strongly  
3 recommend that we stop giving permits, that we hold to  
4 the standards. And I really appreciate the time that  
5 you gentlemen give for these hearings. I think that  
6 we should even put a moratorium. I know that 1,600  
7 permits have already been granted. That's a lot.  
8 They can do a lot of damage.

9                   So I just have one little thing. I have  
10 --- I thought you would appreciate some visual effect.  
11 So I'm going to do something here; okay? I brought a  
12 --- okay. What we have --- can you hear me? Okay.  
13 We have here --- I have some wonderful fresh water  
14 that came out of the tap right here in Allentown. And  
15 in the rest of my little bag here I have a little  
16 arsenic and I have a little benzene. Perfectly safe;  
17 right? I mean they say it is safe.

18                   And so what I've done is diluted it. So  
19 I'm just putting a tiny drop. So this will be very  
20 much like the water that you and your grandchildren,  
21 your children will be drinking. So I'm just going to  
22 put a teeny, teeny bit; okay? So it's diluted.

23                   And when I visited the EPA a couple weeks  
24 ago, they said don't worry. Everything's going to be  
25 diluted, it's not a problem. And I said how many

1 parts per million are safe? Well, we don't know. So  
2 anyway, I'm just putting a teeny bit. Now, this one  
3 is the arsenic. And remember that there's a lot of  
4 salts in it too. So we have to put a little bit of  
5 salt. I didn't bring my whole big salt thing. So I  
6 just brought a little bit if you can see it. I won't  
7 even put it all in, okay?

8 All right. So here we go. Now, anybody  
9 who opposes these standards, who would like to have a  
10 drink? This is what your children and your  
11 grandchildren are going to be drinking. Okay. So  
12 that's all that I want to say. Thank you again for  
13 your time. Nobody wants a drink of water?

14 MR. MANFREDI:

15 Thank you very much. We have three  
16 people left. And before we go on to the final three  
17 people, I want to first of all go back to the  
18 beginning. Did Mr. Don Williams ever arrive? Is  
19 there anyone else who would like to testify and sign  
20 up at this time who has not? Okay. And I just want  
21 to say one more time that if anyone wishes to submit  
22 any additional testimony or submit in writing  
23 testimony, please feel free to do so by February 12,  
24 2010 deadline. Those comments should be addressed to  
25 the Environmental Quality Board, P.O. Box 8477,

1 Harrisburg, PA, 17105-8477. And again, we do have  
2 some people left and I wanted to --- before everyone  
3 left, wanted to make sure ---. The next testifier is  
4 Iris Marie Bloom.

5 MS. BLOOM:

6 Good evening. It's a long evening. I  
7 appreciate every person in this room for our combined,  
8 collective commitment to clean water and also to clean  
9 air and clean land. My name is Iris Marie Bloom,  
10 B-L-O-O-M. I live at 4808 Winsor Avenue in  
11 Philadelphia, Pennsylvania, 19143. So I'd like to  
12 make just a few comments about the bigger picture of  
13 Marcellus Shale drilling and then come back to  
14 specific comments about the Chapter 95 regulations  
15 that we're all here for tonight.

16 I think that we haven't yet really looked  
17 at the big picture of where all this water is coming  
18 from. The numbers that I have heard are that it would  
19 take something like 32 trillion gallons of water to  
20 frack all the wells that are anticipated to be drilled  
21 in the Marcellus Shale region. It's a region. Its  
22 four states. That's a lot of water. That's the  
23 amount of water in the Great Lakes. That's ten  
24 percent of the water the United States uses every  
25 year. That's for one fracing. Most wells are fraced

1 one to ten times.

2           So why are people like me trying to do  
3 the math on this? I need to fact check this. We need  
4 an EPA cumulative impact statement for the region.  
5 And we need to demand it for our state, for  
6 Pennsylvania. The EPA will do a voluntary  
7 environmental impact statement. We should insist that  
8 we get that impact statement before any more drilling  
9 occurs.

10           Another thing in terms of the overall,  
11 big picture of Marcellus Shale drilling issues is that  
12 the methane emissions are huge. Currently methane  
13 contributes one-third of global warming. One-third is  
14 methane. So this drilling is going to increase that  
15 by at least 20 percent. That's according to the  
16 Department of Energy, you know, radical organizations  
17 like that. The New York Times reported this on  
18 October 15th, 2009. I thought we wanted less global  
19 warming. Call me confused. And that's just the  
20 methane emissions alone from routine gas drilling  
21 operations.

22           So we're not even talking --- that  
23 doesn't even include the massive leaks. And a lot of  
24 the technology is just to control those emissions but  
25 it's not being used because it doesn't have to be

1 used. Because the Clean Water Act, natural gas  
2 companies are exempt from that as well. And the Clean  
3 Air Act as well. It's been a long day.

4 I just want to also say that although I  
5 am especially passionate about my watershed, the  
6 Delaware Watershed and Schuylkill Watershed because  
7 that's where my drinking water comes from, none of the  
8 watersheds in the state are expendable. They're all  
9 special. Every single watershed, every creek, every  
10 river, every tributary, each have very special  
11 characteristics. .

12 And just to name a few very briefly,  
13 Monongahela, 350,000 people drinking water.  
14 Susquehanna, Chesapeake Bay, that would be --- we've  
15 already talked a lot about the Delaware and Schuylkill  
16 Rivers. None of these watersheds are expendable in  
17 any way.

18 I want to mention that I am part of  
19 Protecting Our Waters, which is a Philadelphia  
20 grassroots group which is growing right now. Then one  
21 other --- two other little items are that --- you  
22 know, when we talk about Marcellus wastewater, there's  
23 a plan for New York State in the supplemental draft  
24 general environmental impact statement in New York  
25 State. It says we don't want to treat or discharge

1 any Marcellus Shale wastewater in our state. We're  
2 going to send it elsewhere. And elsewhere means  
3 Pennsylvania.

4 I just want to say as a Pennsylvanian, I  
5 don't want any New York State Marcellus Shale  
6 wastewater. We can't deal with our own. We can't  
7 deal with 19 million gallons of Marcellus Shale  
8 wastewater that we are generating.

9 So finally --- sorry. I just sit there  
10 trying to think of more things to say because people  
11 say great things and --- somebody said every gas well  
12 is a potential superfund site. That's a good thing, a  
13 superfund site. So the gas industry is exempt from  
14 major provisions of the Superfund Law. So if that is  
15 the case, who's going to clean it up?

16 So in terms of the legislation at hand,  
17 the DEP regulations, I am strongly in favor of  
18 strengthening, not weakening, the DEP proposed  
19 standards. We need safe drinking water. I don't know  
20 how to calculate the difference between 500 milligrams  
21 per liter versus the 350 parts per million of TDS that  
22 Tracy and Faith from Delaware River Keeper Network are  
23 saying have negative impacts on fish. So I want the  
24 standard reproduced. So I don't know how to do that  
25 translation but I think ---.

1                   UNIDENTIFIED SPEAKER:

2                   They're equivalent.

3                   UNIDENTIFIED SPEAKER:

4                   They're the same.

5                   UNIDENTIFIED SPEAKER:

6                   Milligrams per liter are the same.

7                   MS. BLOOM:

8                   Oh, they're the same? Okay. So I think  
9 it should be below 350 parts per million. We need  
10 life for the fish. We need aquatic life. That's the  
11 basis of our life. So I think we need to strengthen  
12 and not weaken those standards for TDS and the  
13 sulfates and chlorides. Absolutely no more drilling  
14 permits until adequate standards are in place. Not  
15 one. Not one more. We have too many already. The  
16 permits in place should be rescinded.

17                   Furthermore, the wastewater that is being  
18 accepted by wastewater treatment plants to, quote,  
19 treat it, which means generally to dilute it, must  
20 have zero levels of chemicals. These are chemicals  
21 that are known to be in fracking fluid in Pennsylvania.  
22 It's been reported. The DEP and the EPA have been  
23 investigating this as was reported in the River  
24 Reporter of December of '08. So all of these  
25 chemicals have severe toxic effects on human health.

1 Wastewater should have zero levels of 2-butoxyethanol,  
2 ethylhexanol, formaldehyde, glutaraldehyde, boric  
3 acid, ethylene glycol, methanol, monoethanolamine,  
4 dazomet, acetic anhydride, isopropanol, propargyl  
5 alcohol, 5-chlor-2-methyl-4-isothiazotine-3-one,  
6 sodium bicarbonate, diesel, hydrochloric acid and  
7 people have mentioned some of the others.

8           So sadly, I'll need to remember the names  
9 of these things because we're not protected by federal  
10 regulation. We're not protected by state regulations.  
11 We have to protect ourselves. So none of those  
12 chemicals, zero chemicals, zero of these chemicals in  
13 our water, and the other 200.

14           I just want to support the other points  
15 that people have made just very briefly. To add the  
16 discharge standards for Marcellus Shale, contaminants  
17 including bromides, arsenic, benzene, radium,  
18 magnesium and others. I just listed some of the  
19 others. We also need to create oversight for the  
20 reuse of Marcellus wastewater.

21           And what is this about draining it on  
22 roads? This is insane. So I know this is about  
23 wastewater discharge standards but we have to --- we  
24 have DEP in this room. We can't have any of this  
25 toxic sludge sprayed on our roads. So no more



1 drilling and none of this insanity. Thank you.

2 MR. MANFREDI:

3 Thank you, Ms. Bloom. Mr. Garber, M.  
4 Garber? Not yet. I just wanted to let you know I saw  
5 your name. So you aren't going to get skipped.

6 MR. GARBER:

7 Okay.

8 MR. MANFREDI:

9 Thank you. The next testifier is Joy  
10 Tetlak-Adelstein.

11 MS. TETLAK-ADELSTEIN:

12 Hello. I'm Joy Tetlak-Adelstein and I  
13 live at 119 Everhart Street in DuPont, Pennsylvania,  
14 in Luzerne County. And I'm testifying today on behalf  
15 of Citizens for Pennsylvania's Future.

16 Citizens for Pennsylvania's Future, or in  
17 other words, Penn Future, is a statewide public  
18 interest membership organization with offices in  
19 Harrisburg, Pittsburgh, Philadelphia, West Chester and  
20 Wilkes-Barre. Penn Future's purposes include  
21 advocating and litigating to protect public health and  
22 environmental quality across the Commonwealth.

23 Penn Future supports the EQB's proposal  
24 to amend 25 PA Code Chapter 95 to establish effluent  
25 standards for new sources of wastewaters containing

1 high concentration of total dissolved solids or TDS  
2 We also urge the EQB to extend those proposed  
3 standards in two ways. First, by eliminating the  
4 applicability thresholds of 2,000 milligrams per liter  
5 of 100,000 pounds per day. And second, by making them  
6 applicable to existing sources through the addition of  
7 a transition scheme.

8                    Pennsylvania's rivers and streams provide  
9 billions of dollars of direct and indirect economic  
10 benefit to the Commonwealth's families, farms and  
11 industries. Recent developments have shown such  
12 benefits to be threatened to a greater extent now than  
13 perhaps at any time since the Clean Water Laws were  
14 strengthened in the late 1960s in response to  
15 then-existing pervasive industrial pollution.

16                    The new threat comes from wastewaters  
17 from manufacturing, abandoned and active mines and gas  
18 drilling operations that produce wastewaters laden  
19 with TDS, which consists mainly of a variety of salts.  
20 In late 2008, high TDS levels in the water of the  
21 Monongahela River south of Pittsburgh threatened to  
22 shut down industries that are dependent on the river's  
23 fresh water for their operations, and affected the  
24 taste and smell of the drinking water supply to  
25 approximately 330,000 people in the southwestern part

1 of the state.

2                   The Mon was already burdened with high  
3 TDS levels due to discharges from coal mines and  
4 industries, and became overburdened when the extremely  
5 high TDS wastewater produced by gas drilling  
6 operations added to the mix.

7                   More recently, in August and September of  
8 2009, the discharge of high TDS water into Dunkard  
9 Creek from coal mines in West Virginia and  
10 Pennsylvania created conditions that virtually wiped  
11 out the streams mussel population and caused a massive  
12 kill to fish and salamanders.

13                   Over the next several years, development  
14 of the natural gas bearing shales in Pennsylvania  
15 threatens to exacerbate the problems experienced in  
16 Mon and Dunkard Creek and to extend then to other  
17 rivers and streams throughout the Commonwealth.

18                   Penn Future agrees with the conclusions  
19 of the Pennsylvania Department of Environmental  
20 Protection that it cannot protect the quality of  
21 rivers and streams in this Commonwealth and still  
22 approve any significant portion of the pending  
23 proposals and applications for new sources of  
24 discharge of high TDS wastewater that includes  
25 sulfates and chlorides, or continue to allow the

1 emission to be used as the principal method of  
2 treating wastewaters containing TDS.

3           However, contrary to the Department's  
4 apparent belief that currently no treatment exists for  
5 TDS, sulfates and chlorides other than dilution, there  
6 are several currently-available treatment technologies  
7 that can be used to meet the limitations in proposed  
8 Section 95.10.

9           Much of the high TDS wastewater generated  
10 by sources other than Marcellus Shale gas extraction  
11 can be treated by reverse osmosis. The reverse  
12 osmosis is successfully used in thousands of  
13 facilities around the world to extract solids from  
14 seawater, which typically has TDS levels of  
15 approximately 35,000 milligrams per liter, so that it  
16 can be used for drinking and household purposes.

17           Although reverse osmosis and other  
18 conventional treatment technologies will generally not  
19 be suitable to treat the extremely high TDS wastewater  
20 often produced by Marcellus Shale gas extraction, G.E.  
21 Water & Process Technologies and other companies are  
22 advertising brine concentration, crystallization,  
23 vapor compression evaporation and other distillation  
24 technologies that are claimed to be suitable for  
25 treating high TDS wastewater from shale gas

1 extraction.

2                   Indeed, on just this past Saturday in the  
3 Kittanning Leader Times newspaper reported that a  
4 joint venture formed by two companies based in  
5 Kittanning was able to perform onsite treatment of  
6 Marcellus Shale wastewater at a site in northern  
7 Butler County using the patented treatment system at a  
8 cost of about \$6 a barrel or 14 cents per gallon, a  
9 cost that would seem to be economically feasible.

10                   Penn Future believes that by limiting the  
11 TDS levels of discharges into Pennsylvania's rivers  
12 and streams from these resources, the proposed  
13 amendment to 25 PA Code Chapter 95 will permit the  
14 Department to begin addressing the threat that TDS  
15 poses to Pennsylvania's rivers and streams.

16                   The proposed effluent standards will help  
17 ensure that the cost of protecting the state's streams  
18 and rivers from contamination by TDS will be borne by  
19 those who generate the contaminants rather than by  
20 those who are dependent on the clean water from rivers  
21 and streams for recreation, agriculture, industrial  
22 uses or drinking water.

23                   The proposed amendments to Chapter 95 are  
24 a good starting point but they must go farther if  
25 Pennsylvania's rivers and streams are to be truly

1 protected to the degree guaranteed under  
2 Pennsylvania's Clean Streams Law and the Federal Clean  
3 Water Act. The proposed effluent standards for new  
4 discharges of high TDS wastewater should also be  
5 extended in two ways.

6           First, the concept of high TDS wastewater  
7 and the related applicability thresholds of a TDS  
8 concentration of 2,000 milligrams per liter or a  
9 loading of 100,000 pounds per day should be  
10 eliminated. This change would be consistent with  
11 other technology-based treatment standards. It would  
12 also eliminate an inconsistency that the regulation  
13 will permit in its current formulation.

14           Facilities that discharge very low  
15 volumes of wastewaters at concentrations above 2,000  
16 milligrams per liter will be required to treat the  
17 discharges to 500 milligrams per liter even though the  
18 TDS load added to receiving streams might be  
19 relatively insignificant, while facilities that  
20 discharge high volumes of wastewater at concentrations  
21 less than 2,000 milligrams per liter will not be  
22 required to treat even though the amounts of dissolved  
23 solids that are added to receiving streams might be  
24 significant due to the high volumes of the discharges.

25           Second, the proposed effluent standards

1 should apply to existing sources, whether national  
2 pollution discharge elimination system permits are  
3 renewed or modified. Extending the effluent standards  
4 to existing sources will not only reduce the amount of  
5 dissolved solids discharged into the Commonwealth's  
6 rivers and streams but will also level the regulatory  
7 and economic playing fields between new and existing  
8 sources of TDS wastewater.

9           Making all sources play by the same rules  
10 would ensure that the cost of protecting the quality  
11 of Pennsylvania's rivers and streams is not borne  
12 disproportionately by the industries and operations  
13 such as the burgeoning shale gas industry, which is  
14 expected to provide thousands of new skill jobs and  
15 huge direct and indirect economic benefits in  
16 Pennsylvania in the coming years.

17           Further, by extending the effluent  
18 standards to both existing and new discharges of TDS  
19 wastewater, we will strengthen the demand for  
20 treatment solutions and technology. Penn Future is  
21 confident that the market will respond with suitable,  
22 low-cost treatment methods which should position  
23 Pennsylvania to reap further job creation and other  
24 economic benefits of being a leader in supplying new  
25 treatment technologies, both in the United States and

1 around the world.

2 Penn Future will submit additional  
3 written comments on various details of the proposed  
4 rulemaking. In general, we believe the proposed  
5 changes, in addition to Chapter 95, are a positive  
6 first step for Pennsylvania citizens, farmers and  
7 industries. But instead of being limited to new  
8 sources of high TDS wastewater, the new effluent  
9 standards should apply to all sources of wastewater  
10 containing TDS. They should be applied immediately to  
11 new sources of TDS wastewater without triggering  
12 thresholds and they should be extended to existing  
13 sources of TDS wastewater upon renewal or modification  
14 of the source's NPDES permit. Thank you.

15 MR. MANFREDI:

16 The next testifier is Amy Wilson.

17 MS. WILSON:

18 My name is Amy Wilson and my address is  
19 4811 Chester Avenue in Philadelphia, 19143. I work  
20 with Energy Justice Network, but tonight I am  
21 testifying as a citizen.

22 My name is Amy Wilson and I am here as a  
23 Philadelphia resident and one of 15 million people who  
24 relies on the Delaware River for water. I'm  
25 testifying because I believe that Philadelphia's water



1 supply and the water supply of millions of others  
2 would be put at risk by natural gas drilling in the  
3 Delaware River Basin.

4           Discharges of high total dissolved solids  
5 and hundreds of other chemicals inadequately treated  
6 in natural gas wastewater treatment plants threaten  
7 our health and communities. Last April, I began  
8 following news stories about natural gas drilling in  
9 Pennsylvania. In quick time, I learned that though  
10 natural gas is often lauded as a clean transition  
11 fuel, the processes of extracting natural gas and of  
12 disposing of the hydrofracing wastewater have had  
13 severe impacts on the communities and waterways  
14 surrounding the processes.

15           The Department of Energy found flow-back  
16 from natural gas wells ten times more toxic than from  
17 offshore oil well drilling. And since January of  
18 2005, 140 natural gas drill sites in Texas have  
19 required decontamination and cleanup. This  
20 contamination was due to the radioactive materials  
21 present in the flow-backs from horizontal natural gas  
22 drilling, the same type of drilling used to extract  
23 natural gas from the Marcellus Shale formation.

24           With increased drilling, this  
25 contamination will also come to Pennsylvania. In

1 Pennsylvania, more than a quarter million people  
2 reliant on the Monongahela River for their water have  
3 been warned to use bottled water because of high total  
4 dissolved solids levels.

5 I thank the Department of Environmental  
6 Protection for proposing regulations that set  
7 science-based standards for total dissolved solids  
8 discharges. These standards cannot be weakened and  
9 must be implemented as soon as possible.

10 The proposed regulations can mark the  
11 beginning of a thorough effort to set standards and  
12 processes to further protect citizens' health and the  
13 ecological integrity of our state. Pennsylvania is a  
14 Commonwealth state. Our collective or common wealth  
15 can be calculated by assessing the resources we share.  
16 Chief among these are safe waterways. We need strong  
17 standards to protect this invaluable natural resource  
18 and maintain Pennsylvania's ecological wealth now  
19 threatened by untrapped and unregulated natural gas  
20 fracing fluids. Ph.D. Theo Colborn's 2008 study,  
21 Analysis of Chemicals Used in Natural Gas Production,  
22 found that fracing fluids contain over 200 different  
23 types of chemicals, 95 percent of which have adverse  
24 side effects, including brain damage, birth defects  
25 and cancer.

1           In September of this year, an estimated  
2 8,000 gallons of fracing fluid spilled in Dimock  
3 Township. After the fluid seeped into nearby  
4 waterways, the DEP reported a massive fish kill.

5           We need state standards to prevent this  
6 type of water contamination. The state agency,  
7 Pennsylvania's Department of Environmental Protection,  
8 should test for all chemicals known as common  
9 ingredients in fracing fluids. This must include  
10 testing for carcinogenic chemicals, such as benzene,  
11 known to be part of the fracing fluid mixture.

12           Until such standards are in place, all  
13 drilling must be halted. To ensure the safety of  
14 millions of citizens, the gas industry must be held to  
15 far more demanding standards. We need the natural gas  
16 industry to report all fracing fluids and to assess  
17 and report the cumulative impacts of gas extraction  
18 and frac water discharge. We need the gas industries  
19 to monitor all drilling, all drilling wells and to  
20 provide alternative analyses, including a worst-case  
21 scenario analysis. Until these requirements are in  
22 place, all drilling must be halted.

23           To maintain the integrity of our  
24 ecological surroundings, we must stop all drilling in  
25 wetlands and flood plains. Hydrofracing is an

1 extremely water-intensive practice. Each frac  
2 requires tremendous amounts of water, ranging between  
3 two to nine million gallons. Roughly half of the ---  
4 this water remains deep underground and does not  
5 return to the watershed. Extensive water withdrawal  
6 had already de-watered streams in western  
7 Pennsylvania. Until reasonable water withdrawal  
8 limits are put in place, all drilling must be halted.

9           Just a few weeks ago on December 7th, I  
10 traveled down to West Virginia. I stood outside the  
11 West Virginia Department of Environmental Protection  
12 headquarters for several hours in the cold, listening  
13 to speakers from all backgrounds and locations speak  
14 about the social and environmental havoc wrought by  
15 mountaintop removal. Speaker Maria Gunnoe, 2009  
16 Goldman Environmental Prize winner, described one  
17 effect of coal mining that connects deeply and  
18 directly to natural gas drilling. That effect is  
19 water contamination.

20           Coal extraction has contaminated streams  
21 and rivers. It has made drinking water undrinkable.  
22 It has proved an insurmountable obstacle to some and  
23 for others it has become the most stressful problem in  
24 their lives.

25           When speaking, Gunnoe recognized West

1 Virginia's need for jobs and prosperity. But she  
2 first recognized the fundamental need of a community  
3 to have clean drinking water. She spoke to a crowd of  
4 several hundred clean energy advocates and a similarly  
5 large crowd of countraprotesters.

6 She stated the people of West Virginia  
7 definitely need jobs. But the people who think jobs  
8 are more important than water have not had to live  
9 without water. I challenge you. You think it's hard  
10 to live without a paycheck? Try living with quart  
11 jars over your water faucets. Try living with nothing  
12 to give your children to drink. A paycheck is not  
13 important when you don't have water for your children.

14 Though Pennsylvania does not have  
15 mountaintop removal mining, I think that we would be  
16 wise to heed the warning of Maria Gunnoe, a woman who  
17 has tried to live without clean water. We must work  
18 proactively to protect our waterways and drinking  
19 water. Natural gas drilling endangers our water, air  
20 and ecosystems. But it should not. It should be  
21 halted until serious science and justice-based  
22 regulations are enacted. Thank you.

23 MR. MANFREDI:

24 Thank you, Ms. Wilson. Adam Garber.

25 MR. GARBER:

1                   You get to go last.

2                   MR. MANFREDI:

3                   No, actually there's one other person.  
4 Were you looking for the last one?

5                   MR. GARBER:

6                   No, I was just, you know, was going to  
7 try to make it funny because I was the last person on  
8 the list. I don't really actually think it's that  
9 funny that you're talking about arsenic and toxic  
10 chemicals. I'm not sure how I would've done with  
11 that. But I'll try and be quick.

12                   I'm Adam Garber. I'm with Penn  
13 Environment. We're a citizen-based statewide  
14 environmental group. Our address for the office I  
15 work out of is 1420 Walnut Street, Suite 650 in  
16 Philadelphia, Pennsylvania. We have about 15,000  
17 members across the Commonwealth who are concerned  
18 about the environmental impacts and the water impact  
19 that everyone's been talking to tonight --- about  
20 tonight.

21                   I'm not going to talk anymore about the  
22 Marcellus Shale. I just actually want to go through a  
23 few technical things maybe because I think everyone  
24 else has spoken really well about the problems this  
25 poses, the personal stories we've heard.

1 I think there are a few other things we  
2 need to be concerned about with the regulations  
3 themselves, which overall we are supportive of and  
4 excited that they're moving forward hopefully to  
5 actually regulate the wastewater, and it's a first ---  
6 a good first step.

7 So the first is that DEP's proposal of  
8 500 milligrams per liter for TDS and 250 milligrams  
9 per liter each for the sulfates and chlorides go a  
10 long way to ensuring federal drinking water standards  
11 are met across the state. We ask that the DEP not  
12 weaken this proposed standard. And additionally, we  
13 believe that TDS standards should be stated as a daily  
14 maximum, not a monthly average as it currently is in  
15 the proposed regulations.

16 We also agree with DRBC's requirement  
17 that the discharges do not cause background instream  
18 TDS concentrations to raise above 133 percent of  
19 background levels. Similarly, we would like to see  
20 the 2,000 milligrams per liter concentration threshold  
21 stated as a daily maximum.

22 Again, the problem with the daily maximum  
23 is that if it's an average, you could have one really,  
24 really bad day clearly, polluting the water and  
25 affecting the stream in a major way because they could

1 just dump all the wastewater in a single day and  
2 average it out over the course of a month. So we  
3 should look at it on a daily and a monthly average  
4 level.

5           We also believe that the large TDS  
6 sources should be covered by the standard. It should  
7 be made clear that existing large sources of TDS will  
8 eventually have to comply with the standards in the  
9 proposed regulation, as other people have also stated.

10           We would like the DEP to consider adding  
11 discharge standards for additional contaminants that  
12 are frequently found in Marcellus Shale gas drilling  
13 waters. This includes the bromides, arsenic, benzene,  
14 radium and magnesium other people have talked about.  
15 Many of these contaminants are toxic to humans and  
16 aquatic life, and are difficult for drinking water  
17 systems to remove.

18           One other thing that hasn't been  
19 mentioned is in a struggling time for, I think, our  
20 economy and also our tax state, this will put a major  
21 stress on the water systems that we all rely on to  
22 clean up our water supplies. So for the Philadelphia  
23 region and Philadelphia Water Department or other  
24 water departments who are already struggling to meet  
25 sometimes their needing to clean up the water that's



1 coming through the system.

2           And then in order to protect both the  
3 drinking water sources and aquatic sources, these  
4 regulations should be in place as soon as possible.  
5 And as other people have stated, we support that DEP  
6 stop issuing more drilling permits which increase  
7 existing wastewater loads in Pennsylvania streams  
8 until the Chapter 95 revisions are in place.

9           DEP should also stop allowing existing or  
10 proposed wastewater plants to discharge TDS at levels  
11 above the standards established in these Chapter 95  
12 revisions as is currently occurring. And the  
13 effective date should not be extended beyond what is  
14 currently proposed. We should keep it at the end of  
15 2000 --- I think it's '10 right now. I think that's  
16 right. If not sooner.

17           And finally, we think that all aspects of  
18 the Marcellus wastewater generation needs to be  
19 regulated. Currently, there is little oversight over  
20 the reuse of the Marcellus wastewater. And so that  
21 needs to be considered within the regulations. And  
22 we'll submit fuller comments, you know, for the record  
23 down the road.

24           MR. MANFREDI:

25           Before we call our last testifier, is

1 there anyone else who wishes ---?

2 MR. BENNER:

3 So I don't get to go last.

4 MR. MANFREDI:

5 If you wouldn't mind, please come up,  
6 sign up and then ---.

7 MR. BENNER:

8 Thanks for taking my spot.

9 OFF RECORD DISCUSSION

10 MR. BENNER:

11 Hello, folks. Thanks for all staying  
12 here so late. This is the second meeting I've  
13 attended. My brother got me to come down to Philly  
14 last week. I live in Fleetwood, Pennsylvania, which  
15 is Berks County, which, of course, you all heard  
16 tonight is throwing sludge on our farm fields. So I  
17 have nothing to do with that, but I've seen it happen  
18 all the time.

19 Anyways, I was at the meeting last week  
20 and my brother got me fired up. This has to be the  
21 most stupid idea I ever heard of in my life, this  
22 drilling a mile down, a mile and a half down, for  
23 something that is so toxic to begin with we shouldn't  
24 even be burning it in our houses, anywhere, close to  
25 where we breathe.

1                   How many people would come up here and  
2 put their mouth onto the emissions that come out of  
3 natural gas when you burn it? Anyone? I wouldn't.  
4 And I'll tell you why I wouldn't. Because two years  
5 ago my daughter got so deathly sick after six months  
6 of running my heat in my house that she ended up in  
7 CHOP for a week --- almost ten days with swelling on  
8 her brain from carbon monoxide poisoning because I  
9 didn't have a detector.

10                   I had a new house. I had no idea. I  
11 thought it wasn't supposed to have that stuff in  
12 there. Turns out I had a leaky furnace. Natural gas  
13 would leak out. It wasn't all being burned properly.  
14 It leaked up to the top of the house into her room.  
15 And she developed signs and symptoms that I wasn't  
16 aware that was slow carbon monoxide poisoning. By the  
17 time I got her to the hospital, she had symptoms of MS  
18 and --- sorry. It's tough.

19                   She's doing better now. She's a great  
20 kid. She has a little bit of eye movement problem in  
21 her one eye from the swelling on her brain that got  
22 into her optic nerve. But above and beyond all that,  
23 I've decided to shut natural gas out of my house. And  
24 I hope everyone here realizes that that's the problem  
25 we're facing right now.

1           We've created a demand for something that  
2 we don't need. Let's face it. Thanks for backup. I  
3 don't usually speak, at least to a bunch people I  
4 don't know.

5           Natural gas is a joke. We don't need  
6 this. If the government would release the technology  
7 to us that they've hidden for years since probably the  
8 '30s or '40s, even before then, that would give  
9 everybody free energy at their own location, at their  
10 own house where they wanted to live, we wouldn't be  
11 relying on someone else to tell us what we need to get  
12 from the earth to burn for ourselves to have heat, to  
13 have hot water, to have drinking water.

14           It's a joke. There's technology right  
15 now, I was just on the Internet today, that you could  
16 put on your house, pay for it within three years by a  
17 monthly payment that will actually give you electric  
18 in your house. And there's no need to go any other  
19 route. We don't need to rely on oil, gas or coal  
20 anymore. I hope you're videotaping this because I  
21 don't usually talk.

22           Just get it out of our system because we  
23 created a demand for something we don't need. So the  
24 law of attraction tells us if we manifest something we  
25 want in our lives, like free energy for everybody, we

1 won't need to rely on these big companies anymore and  
2 they won't be able to slip like a Halliburton law  
3 through on us, who will come in and destroy our land,  
4 not to mention the land in Europe. They've done it  
5 too. They've done it to Texas, now Colorado, West  
6 Virginia, all these other states.

7                   I just bought land in Ithaca. They're  
8 going to try to do it up there. Come on. It's a  
9 joke. This is pathetic. You guys should regulate it.  
10 Whatever's going on right now, regulate to the max you  
11 can and then stop it. And then let's create a demand  
12 for something else because then they'll go. If the  
13 money isn't here, they will leave. That's what we got  
14 to do. And good luck doing that.

15                   MR. MANFREDI:

16                   Thank you, Mr. Benner. And I hope your  
17 daughter gets well. Shirley Masuo.

18                   MS. MASUO:

19                   I really have to pee, so I'm going to  
20 keep this short. I hope this doesn't sound harsh. My  
21 name is Shirley Masuo and I'm cofounder of Pro Pike  
22 PA, a group that works for the betterment of Pike  
23 County. My address is 196 Coursen Road, Shohola,  
24 Pennsylvania, 18458.

25                   Pro Pike PA does not take a stand on gas

1 drilling, as gas drilling provides both hope and  
2 promise for Pike County. But it is hard to understand  
3 how the people who are supposed to be making sure the  
4 gas industry goes about its business in a responsible  
5 way can be letting hydraulic fracturing go forward in  
6 Pennsylvania without the proper protective standards  
7 in place for drinking water. Is this not what PA DEP  
8 does?

9           Issuing gas drilling permits before  
10 protective standards are in place and proper oversight  
11 is established is something that would be expected  
12 from the gas drilling industry, not PA DEP. The gas  
13 industry's job is to make as much money as possible.  
14 DEP's job is to make sure they don't cause damage to  
15 the environment while they do that. This is not  
16 rocket science.

17           To allow the discharge of wastewater from  
18 hydraulic fracturing into streams and rivers without  
19 meeting proposed standards until 2011 is not an  
20 acceptable position for the Department of  
21 Environmental Protection to be taking. Moreover, the  
22 proposed regulations do not address some key problems,  
23 such as regulating the reuse of flow-back.

24           Discharge standards need to be applied to  
25 reused fluids. That's not a position of environmental

1 nuttiness. It's just commonsense. We ask that you  
2 stop issuing drilling permits until you have sensible  
3 regulations in place. Thank you.

4 MR. MANFREDI:

5 Thank you. Eric Pavlak.

6 MR. PAVLAK:

7 My name is Eric Pavlak from 202 Oakland  
8 Avenue, Oaks, Pennsylvania. I'm not going to rehash  
9 things that have already been said. I just want to  
10 enter into the record an area we kind of neglected,  
11 which is while DEP is suffering a 27 percent budget  
12 cut, DECNR is suffering 18 percent budget cut. We're  
13 not getting paid for this gas. Pennsylvania, out of  
14 the 15 top gas-producing states, is the only one that  
15 doesn't get a severance tax. It collects no tax money  
16 from the extraction of this mineral resource. We're  
17 not only getting screwed, we're not getting paid for  
18 it. And I just wanted to add that to the record.  
19 There are --- this could provide --- gas extraction  
20 could provide a wonderful source of financing for DEP,  
21 for environmental action, for the general fund in  
22 Pennsylvania. And we're not getting our due. We're  
23 letting people take this for free. Thank you.

24 MR. MANFREDI:

25 Thank you, sir. The next testifier is

1 Steven Davis.

2 MR. DANIS:

3 Danis.

4 MR. MANFREDI:

5 Danis. Sorry about that.

6 MR. DANIS:

7 Okay. My name's Steven Danis. South  
8 Whitehall Township. I hope you all can hear me now.  
9 I have a question. We're not supposed to ask  
10 questions of DEP in this format. But it was a point  
11 that came up.

12 Starting in the spring of this year,  
13 previously soil and water conservation districts, and  
14 there is a district in each county, dealt with  
15 placements of gas valves and the road that have to go  
16 to them. For some odd reason, that oversight was  
17 taken away from the county soil and water conservation  
18 districts and everything was sent to the state.

19 I'm working with conservation districts  
20 myself, growing up on a farm and owning a farm later,  
21 which just along New York State ---. That seems kind  
22 of odd because I think the conservation districts have  
23 established over time a good record as far as  
24 oversight when it comes to moving dirt. So that is  
25 one point which I think the Department perhaps should



1 look into. I would strongly urge them to rethink that  
2 decision.

3                   And secondly, I've spent several years  
4 now reading on the subject of natural gas. It's my  
5 strong opinion the natural gas industry is not going  
6 to go away. It is an integral part of our energy  
7 structure in this country. Now, a huge percentage and  
8 a growing percentage comes from drilling into shale  
9 deposits, and it's not going to go away.

10                   Exxon a few days ago announced it's going  
11 to pay \$41 billion in cash and taking on debt for XTO,  
12 which is a major gas-producing company. Exxon does  
13 not make many bad investments historically. So it is  
14 here to stay.

15                   Now, my contention is it needs to be  
16 regulated. Or will it be outlawed? I don't believe  
17 that is within the realm of possibility. Thank you.

18                   MR. MANFREDI:

19                   Thank you, Mr. Danis. Cecilia Dougherty.

20                   MS. DOUGHERTY:

21                   Hi. I'm Cecilia Dougherty. I live in  
22 Erdenheim, 910 Bent Lane. That's just outside of  
23 Philadelphia. I just want to make one point kind of  
24 in reference to a point that was made earlier about  
25 New York State not allowing any wastewater.

1           And it sort of came across to me that we  
2 were saying well, we don't want theirs. My point is  
3 we should do the same thing. We should say we don't  
4 want to take any wastewater. Yeah, it's a huge amount  
5 of natural gas. We are very much dependent on natural  
6 gas. But this is such a pivotal point, a pivotal time  
7 in the sense that it is really coming together. It's,  
8 you know, our needs versus our rights.

9           I honestly do not believe that this can  
10 be distracted safely --- extracted safely. I really,  
11 honestly don't believe it could ever be. So I say  
12 moratorium drilling. And let's find a way to do what  
13 New York State did and deny, you know, any wastewater  
14 in our state as well. Thank you.

15           MR. MANFREDI:

16           Is there anyone else who would wish to  
17 testify?

18 OFF RECORD DISCUSSION

19           MR. MANFREDI:

20           I just want to thank everyone for  
21 sticking around all night and coming. I really  
22 appreciate it. I know I appreciate your comments very  
23 much. If there are no other witnesses or testifiers  
24 present, then on behalf of the Environmental Quality  
25 Board, I will hereby adjourn this hearing at 8:20 p.m.


\* \* \* \* \*

HEARING CONCLUDED AT 8:20 P.M.

\* \* \* \* \*

CERTIFICATE

1  
2  
3  
4  
5 I hereby certify that the foregoing  
6 proceedings, hearing held before Member Manfredi, was  
7 reported by me on 12/17/2009 and that I Andrew M.  
8 Minnick, Jr. read this transcript and that I attest  
9 that this transcript is a true and accurate record of  
10 the proceeding.

11   
 12 \_\_\_\_\_  
 13 Court Reporter

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

