

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMONWEALTH OF PENNSYLVANIA  
DEPARTMENT OF ENVIRONMENTAL PROTECTION  
ENVIRONMENTAL QUALITY BOARD

\* \* \* \* \*

IN RE: PROPOSED RULEMAKING FOR TRIENNIAL REVIEW OF  
WATER QUALITY STANDARDS

PUBLIC HEARING

\* \* \* \* \*

BEFORE: LAURA FUSARE EDINGER, Regulatory  
Coordinator, Pennsylvania DEP, Chair  
THOMAS A. BARRON, Pennsylvania DEP

HEARING: Tuesday, January 30, 2018  
2:03 p.m.

LOCATION: Department of Environmental Protection  
Southeast Regional Office  
Delaware and Schuylkill Conference Rooms  
2 East Main Street  
Norristown, PA 19401

Reporter: Stephanie Lukacs

Any reproduction of this transcript  
is prohibited without authorization  
by the certifying agency.

RECEIVED  
IRRC  
2018 MAR -5 A 10:54

1	I N D E X	2
2		
3	OPENING REMARKS	
4	By Ms. Edinger	4 - 11
5	PRESENTATION	
6	By Kelly Germann	11 - 15
7	By Faith Zerbe	15 - 22
8	By Ellen Kohler	22 - 24
9	By Lindsay Blanton	24 - 28
10	CLOSING REMARKS	
11	By Ms. Edinger	28
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

E X H I B I T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<u>Number</u>	<u>Description</u>	<u>Page</u> <u>Offered</u>	<u>Page</u> <u>Admitted</u>
---------------	--------------------	-------------------------------	--------------------------------

NONE OFFERED

## P R O C E E D I N G S

1  
2 -----  
3           MS. EDINGER: Good afternoon. I'd like  
4 to welcome you to the Environmental Quality Board  
5 public hearing on the proposed rulemaking for the  
6 Triennial Review of water quality standards.

7           If at any point you have trouble hearing  
8 me, just kind of raise your hand so I'll speak up. My  
9 name is Laura Edinger, I'm the Regulatory Coordinator  
10 for the Department of Environmental Protection, and I  
11 am representing the Environmental Quality Board at  
12 today's hearing. After this, I'll call it - I'll just  
13 refer to it as the EQB. I officially call this hearing  
14 to order at 2:04 p.m.

15           In the event of an emergency, exits are  
16 located - the most prominent one is the one - the  
17 door's open right behind us, but there are a couple of  
18 others as well. At this time, I'll ask that all cell  
19 phones are silenced.

20           The purpose of this hearing is to accept  
21 formal testimony on the proposed rulemaking. This  
22 proposed rulemaking was adopted by the EQB at its  
23 meeting on April 18th, 2017. This rulemaking is  
24 required for Pennsylvania to comply with the Federal  
25 Clean Water Act which mandates that states

1 periodically, but at least once every three years,  
2 review and revise, as necessary, their water quality  
3 standards.

4                   Pennsylvania's water quality standards  
5 include the designated uses of the surface waters of  
6 this Commonwealth, along with the specific numerical  
7 and narrative criteria necessary to achieve and  
8 maintain those uses and, also, an anti-degradation  
9 policy.

10                   Essentially, water quality standards are  
11 in-stream water quality goals that are implemented by  
12 imposing the specific regulatory requirements such as  
13 treatment work requirements and effluent limitations on  
14 individual sources of pollution.

15                   This rule proposes to update the aquatic  
16 life criterion for ammonia. The rule will also propose  
17 updating bacteria criteria by replacing the current  
18 fecal coliform-based criteria for water contact sports,  
19 WC, during the swimming season, which is from May 1st  
20 through the September 30th, with the United States  
21 Environmental Protection Agency's EPA 2012 Recreational  
22 Water Quality Criteria in Pennsylvania's surface  
23 waters. The proposal will further update water quality  
24 criteria for toxic substances using the latest  
25 scientific information and policies developed by the

1 EPA under the Clean Water Act.

2           The rule additionally proposes to  
3 clarify that for any pollutant not listed in Table 6,  
4 criteria in Table 5 may be used to protect existing and  
5 designated uses in the Great Lakes System, or that  
6 criteria will be developed by the Department of  
7 Environmental Protection, DEP, as needed, in accordance  
8 with this chapter and the methods described in  
9 Chapter 16.

10           Further, the rulemaking notes that DEP  
11 has developed a new online resource to maintain a  
12 publicly available list of site-specific criteria that  
13 have been developed and are being used by DEP in  
14 permitting and other pollution control measures. This  
15 list will be routinely updated as new criteria are  
16 developed or other applications and implementation of  
17 existing site-specific criteria are added.

18           Corrections are proposed to the water  
19 quality standards chapters for typographical and  
20 translation errors and missed references associated  
21 with prior rulemaking and/or publication activities.  
22 But proposed corrections do not change the current  
23 stream use designations.

24           Also of note, DEP routinely reevaluates,  
25 as part of its Triennial Review of water quality

1 standards, the two water bodies where the fishable or  
2 swimmable uses specific in the Federal Clean Water Act  
3 required uses are not being met. These include the  
4 Harbor Basin and entrance channel to Outer Erie  
5 Harbor/Presque Isle Bay and several zones within a  
6 portion of the Delaware Estuary. Because the same  
7 conditions and hazards for swimming exist today as  
8 during original use obtainability assessments, no  
9 change to the designated use is anticipated for these  
10 waters.

11 In addition, limited uses for Zones 3,  
12 4, and upper Zone 5 of the Delaware Estuary basin are  
13 incorporated into Drainage Lists E and G because they  
14 do not meet Section 101(a)2 fishable uses. The current  
15 designated uses within these zones only include  
16 warm-water fishes, maintenance only, and migratory  
17 fishes, passage only, and do not include propagation  
18 unless referred to the Delaware River Basin  
19 Commission's, DRBC, standards which were developed to  
20 protect fish maintenance and passage only.

21 Recent data and observation, however,  
22 suggest recovery is occurring in propagation for some  
23 species and portions of these zones. DRBC initiated  
24 and evaluation of available data for resident and  
25 anadromous fishes collected since 2000 in an attempt to

1 quantify spawning and early life stages and the extent  
2 of successful reproduction for estuarine species. DEP  
3 continues to work in cooperation with the DRBC, the  
4 EPA, and other DRBC signatory states with regard to the  
5 recovery taking place in the lower river and estuary.

6                   Entities affected by the proposed  
7 rulemaking may include facilities with point source  
8 discharges or treated wastewater to waters of the  
9 Commonwealth because all of discharges are assigned  
10 effluent limits consistent with achieving water quality  
11 standards, including all applicable water quality  
12 criteria and designated uses. These effluent limits  
13 are implemented through DEP's permit and approval  
14 actions.

15                   Overall, the Commonwealth, its citizens,  
16 and natural resources will benefit from these  
17 recommended changes because they provide the  
18 appropriate level of protection to preserve the  
19 integrity of existing and designated uses of surface  
20 waters in this Commonwealth. Protecting water quality  
21 protects public health, wildlife, and aquatic life.

22                   Having said all of that, to give  
23 everyone an equal opportunity to comment on this  
24 proposal, I would like to establish the following  
25 ground rules. I will first call upon the witnesses who

1 have preregistered to testify at this hearing. After  
2 hearing from these witnesses, I will provide any other  
3 interested parties with the opportunity to testify as  
4 time allows.

5                   Testimony is limited to five minutes for  
6 each witness, and I want to note that written and  
7 spoken testimony both carry the same weight. If you  
8 should run out of time for your spoken testimony, we  
9 will read the rest of your comments in your written  
10 testimony.

11                   Organizations are requested to designate  
12 one witness to present testimony on its behalf. Each  
13 witness is asked to submit three written copies of his  
14 or her testimony to aid in transcribing the hearing.  
15 Please hand two copies to me and one copy to our  
16 stenographer prior to presenting your testimony. If  
17 you don't have the copies, it's okay, we will work it  
18 out.

19                   Please state your name, address and  
20 affiliation for the record prior to presenting your  
21 testimony. The EQB would appreciate your help by  
22 spelling names and terms that may not be generally  
23 familiar so that the transcript can be as accurate as  
24 possible.

25                   Because the purpose of a hearing is to

1 receive comments on a proposal, EQB or DEP staff cannot  
2 address questions about the proposed rulemaking during  
3 the duration of the hearing but may address questions  
4 after the conclusion of the hearing.

5           In addition to or in place of verbal  
6 testimony presented at today's hearing, interested  
7 persons may also submit written comments on this  
8 proposal. Again, written and verbal comments hold the  
9 same weight when considered in the finalization of this  
10 proposed rulemaking. All comments provided become a  
11 part of the official public record.

12           All comments must be received by the EQB  
13 before February 16th, 2018. Comments should be  
14 addressed to the Environmental Quality Board, P.O. Box  
15 8477, Harrisburg, PA, 17105. Comments may also be  
16 submitted online through eComment which is accessible  
17 through DEP's website. You can click on the eComment  
18 link at the bottom of our homepage which is  
19 [www.dep.pa.gov](http://www.dep.pa.gov). Comments may also be submitted by  
20 email at [regcomments@pa.gov](mailto:regcomments@pa.gov), that's [regcomments@pa.gov](mailto:regcomments@pa.gov).  
21 A subject heading of the proposed rulemaking and a  
22 returned name and address must be included in each  
23 email.

24           All comments received at this hearing,  
25 as well as written comments received by February 16th,

1 will be considered by the EQB and will be included in a  
2 Comment and Response document which will be prepared by  
3 the Department and reviewed by the EQB prior to the  
4 Board taking it's final action on this regulation.

5           Anyone interested in receiving a copy of  
6 the transcripts of today's hearing may contact EQB for  
7 further information.

8           I'd like to now call our first  
9 commentator which is Kelly Germann. If you could come  
10 up to the microphone, please.

11           MS. GERMANN: For the record, my name is  
12 Kelly Germann (corrects pronunciation).

13           MS. EDINGER: Germann, my apologies.

14           MS. GERMANN: As I said, my name is  
15 Kelly Germann, I'm from Tinicum Conservancy, but I am  
16 here on behalf of the 75-member organizations of the  
17 Pennsylvania Land Trust Association, and I'm here to  
18 give comments drawn from a full comment letter  
19 submitted by Andrew Loza, the Executive Director of the  
20 Pennsylvania Land Trust Association.

21           The Triennial Review seeks comments  
22 regarding clarifications for how conservation easements  
23 should be considered in the evaluation for stream  
24 redesignation. The Pennsylvania Land Trust  
25 Association, herein referred to as PALTA, welcomes this

1 opportunity to comment in advance of possible  
2 rulemaking on this matter. Additionally, PALTA  
3 welcomes the opportunity to engage in further  
4 clarifying discussions on these matters prior to  
5 further rulemaking.

6                   First, PALTA opposes any effort to  
7 eliminate the consideration of conservation easements  
8 during the evaluation for a stream redesignations. Our  
9 role is to have PADEP broaden that consideration here,  
10 not eliminate it or severely restrict it. PALTA  
11 asserts that the definition of conservation easements  
12 should reflect the definition used in the  
13 Pennsylvania's Conversation and Preservation Easements  
14 Act.

15                   It's important that conservation  
16 easements play a greater, positive role in  
17 redesignation evaluations. Conservations easements -  
18 if held by any holder respecting the practices set  
19 forth in the document, Land Trust Standards and  
20 Practices, as published by the Land Trust Alliance -  
21 can reliably deliver consistent water quality  
22 protections.

23                   PALTA suggests a definition of a  
24 qualified conservation easement be introduced that  
25 incorporates the definition of conversation easement

1 contained in Pennsylvania's Conservation and  
2 Preservation Easements Act, and then adds standards  
3 specific to Chapter 93 - standards that will ensure  
4 consistent water quality protections in perpetuity.

5           The Department suggested additional  
6 sentence defining outstanding national, state,  
7 regional, or local resource water accordingly would be  
8 modified to change the term conservation easements to  
9 qualified conservation easements.

10           The Model Grant of Conservation  
11 Easements published by the Pennsylvania Land Trust  
12 Association, and used by most Pennsylvania land trusts,  
13 holds at first objective to maintain and improve the  
14 quality of water resources, both surface and ground  
15 water, within, around, and downstream of the property.

16           Additional covenants that back this  
17 purpose, including, among others, a prohibition on gas  
18 and oil extraction that presents any risk to water  
19 resources, limitations on impervious coverage, a  
20 prohibition on agriculture near waterways, and a  
21 prohibition on forestry unless conducted in accordance  
22 with a plan that protects water quality.

23           The Department's tentative proposal  
24 provides the conservation easements must not be  
25 amendable. PALTA believes that amendments are

1 important to strengthening conservation protections  
2 over time and to improving administrative practices as  
3 better understandings are developed, and thus need to  
4 be permitted. Land trust operate within a robust  
5 infrastructure that ensures that amendments of easement  
6 documents advance rather than diminish conservation  
7 protections.

8                   Finally, the Department's preliminary  
9 proposal takes the approach that requiring government  
10 to have an ownership interest in the conservation  
11 easement, either as a holder or a beneficiary of the  
12 easement. Presumably, this approach assumes that the  
13 government has greater capacity or willingness to  
14 uphold an easement's purpose than a private charitable  
15 land trust. PALTA believes, based on decades of  
16 exemplary land trust conduct - in building common land  
17 trust standards and diligently monitoring and enforcing  
18 easements - that such an assumption is unfounded.

19                   Further, there are practical ways to  
20 ensure that a specific land trust has sufficient  
21 capacity to uphold an easement's water quality  
22 objective that do not have to rely on government  
23 involvement.

24                   Again, we look forward to holding more  
25 detailed discussions on this issue prior to the next

1 water quality standards review and rulemaking period.

2 Thank you for your consideration.

3 MS. EDINGER: Thank you, Kelly. Next on  
4 our list we have Faith Zerbe.

5 MS. ZERBE: My name Faith Zerbe,  
6 F-A-I-T-H, Z-E-R-B-E. I am a scientist with the  
7 Delaware Riverkeeper Network. Delaware Riverkeeper  
8 Network is the grassroots environmental advocacy  
9 organization that has 20,000 members, and we operate  
10 throughout the four basin states. DRN collects, uses  
11 and disseminates stream data to help better protect and  
12 restore the streams of the Delaware River Basin which  
13 serves as drinking water for 17 million people which is  
14 about five percent of the U.S. population.

15 We thank the EPA today, first, for  
16 extending the public comment beyond the holiday period  
17 which was the original 12/31 date, extending that to  
18 2/16, and also for holding a hearing here in the  
19 Delaware River Basin where people have concerns.

20 Water quality standards are a critical  
21 component to ensuring the spirit of the Clean Water Act  
22 is implemented. In addition, water quality standards,  
23 as subject today, is critical to ensure that the PA  
24 Constitution Article 1, Section 27, is fulfilled. The  
25 Pennsylvania Supreme Court, Act 13, Natural Gas

1 Challenge issued an important decision in 2013 where  
2 the Court ruled Act 13 violates the Pennsylvania  
3 Constitution on the grounds that it violates the  
4 Environmental Rights Amendment.

5           In doing so, the Court held that the  
6 right to pure water, clean air, and a healthy  
7 environment are fundamental rights that must be given  
8 high priority, consideration and protection of every  
9 level of Pennsylvania government. Since that ruling by  
10 Justice Castille, multiple examples of case law have  
11 been reinforcing this protection and the responsibility  
12 of the DEP to work and operate within this strong  
13 environmental rights construct.

14           DRN believes strengthening water quality  
15 standards is a critical component to fulfilling this  
16 obligation under Act 1, Section 27, for our generation  
17 and future generations to come. Despite this strong  
18 environmental rights amendment, according to the most  
19 recent assessment by EPA and the Department, there are  
20 20,000 miles of polluted waterways in the Commonwealth  
21 currently not meeting their current uses.

22           Some of the most common pollutant  
23 sources are abandoned mine drainage from coal mining,  
24 ag runoff and urban storm water runoff. DRN believes  
25 we need more strict numeric standards codified to

1 better clean up these pollution inputs. We believe the  
2 science is clear to warrant these standards and the  
3 Constitution requires it.

4                   So some points specifically. First, my  
5 colleague, Kelly, has talked about conservation  
6 easements. DRN believes it is critical that private  
7 conservation easements be a fundamental component to  
8 determine outstanding resource waters under Chapter 93.  
9 With a wealth of private conservation trusts in the  
10 state that work to preserve land and that leverage  
11 government and private funds to conserve land, by DEP  
12 proposing to undermine its past practice of considering  
13 private easements as part of an outstanding water  
14 qualifiers flies in the face of what is required under  
15 anti-deg guidance. A narrow look at only government  
16 easements being proposed for future Triennial Reviews  
17 in not in practice what has been done in the past for  
18 past upgrade petitions nor is it protective.  
19 Furthermore, land trusts are often the very entities  
20 that support or petition for stream upgrades.

21                   Similar to 2011 Upper Delaware Regional  
22 Petition which many land trusts had supported and  
23 similar to several petitions that is just went in  
24 recently in the past year lead by conservancies as well  
25 as Tinicum Conservancy's Tohickon upgrade that has not

1 been realized in the last 20 years despite all their  
2 efforts.

3           We also believe that because the metrics  
4 on water chemistry are very high bars for our streams  
5 to get special protection watersheds, it's absolutely  
6 critical that these outstanding and other qualifiers  
7 are considered, not narrowly, but, in fact, broadly by  
8 DEP so we don't undermine the spirit of the Clean Water  
9 Act or the Constitution.

10           Next up is the 11 new toxics to the list  
11 which we are encouraged and we are very supportive of  
12 that. We do wish, however, that DEP would be proposing  
13 PFA standards to protect drinking water even though  
14 these toxins have been found in many drinking water  
15 supplies in the Delaware River Basin.

16           In fact, Delaware Riverkeeper Network  
17 has helped them cover some of those areas where people  
18 had contaminated drinking water. We know that New  
19 Jersey is currently advancing as science panels  
20 recommendation to adopt a standard of 14 parts per  
21 trillion. That's the most protective standard in the  
22 nation and we believe that Pennsylvania should go with,  
23 to not undermine what's happening on the other side of  
24 the river.

25           Regarding fish propagation and DO

1 standards for the estuary, currently, fish propagation  
2 is not a designated use in sections of the Delaware  
3 River Estuary, and the State is required to review  
4 reasons behind rejection of those uses since, clearly,  
5 its own studies, and those of DRBC, in Zones 3, 4 and 5  
6 show that fish are, in fact, propagating. These fish  
7 include the endangered Atlantic Sturgeon, for example,  
8 and many other fish species that have been reproducing.

9                   In 2013, the Delaware Riverkeeper  
10 Network submitted a petition, in fact, to DRBC for  
11 dissolved oxygen criteria to be elevated - that was  
12 back in 2013 - to meet the existing use of the main  
13 stem Delaware River because DO levels far exceed the  
14 current standards. The science documented in the past  
15 two decades shows these improvements to fish as well as  
16 dissolved oxygen. And we have letters to back that up.

17                   It's also important to note the historic  
18 aspect. That in 1967 the DO goals and exceptions were  
19 very low, they were set very low for the Delaware River  
20 and the Estuary. They were set at 3.5 milligrams a  
21 liter daily averages. We need much higher standards.  
22 Five milligrams a liter and, ideally, to the 6 to 6.5  
23 milligram level that research asserts is optimal for  
24 Atlantic Sturgeon and other fish procreation.

25                   Finally, the chloride standard is

1 something we wanted to point out as well. We have  
2 concerns that DEP has, again, not established chloride  
3 standards for aquatic life uses. A criterion for  
4 chloride to begin protecting Pennsylvania streams from  
5 brine wastewater, from gas drilling, and road salt  
6 applications would be a critical step by the State that  
7 is overdue and needed. And the science conducted by  
8 the State and academic institutions supports  
9 establishment of this chloride criterion at this  
10 critical time in history. This need should be  
11 increasingly clear to the Department.

12                   For example, between 2004 and November,  
13 2016, DEP lists 9,443 public complaints about  
14 environmental problems in shale gas drilling areas.  
15 The DRBC has also proposed a permanent ban on gas  
16 grilling in the Delaware River Basin because of the  
17 harms and threats.

18                   We have a de facto moratorium on  
19 drilling, wastewater import and freshwater export since  
20 2010 in this basin. The rest of the Commonwealth  
21 streams and communities deserve this same protection  
22 and, at minimum, a protective aquatic life use chloride  
23 standard that is science-based would allow more tools  
24 for impacted communities to better document these very  
25 real harms they are facing from gas drilling.

1                   Regarding nutrient standards, DEP  
2 continues not to set nitrogen and phosphorous  
3 standards. We believe this is failure. Since 2000,  
4 EPA has been technical guidance for states to develop  
5 regional nutrient criteria, yet we have not developed  
6 these. And it is encouraging that the DEP is proposing  
7 an ammonia standard.

8                   DRN also has great concerns about the  
9 removal of water contact/swimming from the Delaware  
10 River from river mile 108.4 to 81.8. I won't get into  
11 details, but we have various documentation where people  
12 are using the river for water contact and swimming  
13 within the John Heinz Refuge down into Harbor State  
14 Park and many other places. In fact, there is a water  
15 trail that highlights this title section, so again,  
16 that use is actual use and should be reflected in the  
17 standards this time around.

18                   Finally, we wanted to just point out  
19 some proposed possible downgrades that are listed.  
20 We're taking a look at the list closer before the 16th,  
21 but Goose Creek and the Chester Creek comes to mind  
22 where it appears that DEP is looking to downgrade from  
23 TSF to warm water fishery. More analysis is needed on  
24 that; EPA also agrees with that point. We also see  
25 that Beaver Creek and the East Brandywine Creek might

1 also be suffering from a downgrade, so, again, use  
2 attainable analysis is our understanding what needs to  
3 be happening if you're taking that use away. It's a  
4 long process and we need more information.

5                   In closing, thank you for your time,  
6 thank you for all that you do, thank you for  
7 representing the science and using the science the best  
8 you can in a climate that's friendly to environment and  
9 facts. We appreciate all you do and thanks, again.

10                   MS. EDINGER: Thank you, Faith. Next,  
11 we have Ellen Kohler.

12                   MS. KOHLER: Ellen Kohler here on behalf  
13 of River Network which is a national organization which  
14 works to protect the waters of our country and help  
15 engage community members and local organizations to  
16 take a stand for their waters. I have already  
17 submitted some written comments; I'm going to highlight  
18 today, but if you would like me to, again, submit those  
19 comments. We'll figure that out later.

20                   In this context, River Network is  
21 partnering with organizations throughout the Delaware  
22 River Basin on water quality issues. I also work  
23 directly with conservation and watershed organizations  
24 in the Brandywine-Christina Watershed and the  
25 Schuylkill Highlands Watershed, and I wanted to note

1 for you that today we have several people in  
2 organizations here that are new to this process and  
3 that are learning about opportunities to engage with  
4 Pennsylvania DEP about water quality issues. So I want  
5 you to know you have interested partners in the  
6 Delaware River Basin.

7                   Others have focused on some of the  
8 points that I have made in my comments. Particularly,  
9 I also am concerned by the definition of conservation  
10 easements. We look forward to continued discussion  
11 with DEP about how to have a standard in place that  
12 works and provides true protection and includes the  
13 important work that private conservation groups do.

14                   With respect to the chloride standard, I  
15 want to note that recently the Brandywine-Christina  
16 Watershed, the USGS Exton office shared information  
17 about trends for chloride levels that are increasing  
18 and particularly noted that the slope line is getting  
19 steeper and steeper in terms of that increasing trend  
20 for chlorides. This is a - so this is a standard where  
21 we need to be taking action particularly to be  
22 protective of aquatic life. So I encourage DEP to act  
23 expeditiously to adopt a process to be looking at the  
24 impacts for chloride in aquatic life and adapting a  
25 standard, ideally, before the next Triennial Review.

1                   Likewise, with respect to PFAs, PFOAs,  
2 PFOs, as we know now, there's a high incidence - high  
3 detection level of these substances within the Delaware  
4 River Basin. We have lots of detection levels of -  
5 beyond the 70ng per liter that EPA recommends as a  
6 lifetime limit. We should be looking at those and  
7 particularly adopting site-specific standards as soon  
8 as possible in an expeditious basis without waiting for  
9 the next Triennial Review, if possible.

10                   Those are the highlights I wanted to  
11 address today. Thank you very much for your time.

12                   MS. EDINGER: Thank you.

13                   Okay. And our next and last  
14 pre-registry commentator is Lindsay Blanton.

15                   MS. BLANTON: Hello. My name is Lindsay  
16 Blanton, and I'm the water programs coordinator at the  
17 Wissahickon Valley Watershed Association. I've been  
18 monitoring the Wissahickon Creek and have managed a  
19 team of citizens science volunteers to monitor the  
20 creek for three and a half years.

21                   The Wissahickon Watershed is home to  
22 almost a quarter of a million people. The Wissahickon  
23 Valley Watershed Association has spent the last  
24 60 years serving and educating those people to care for  
25 our watershed community. We know these citizens to be

1 people that value their environment, people who value  
2 time spent in nature, and people who value and cherish  
3 wildlife.

4                   I'm here today on behalf of the  
5 Wissahickon Valley Watershed Association but also on  
6 behalf of all those people to urge the Board to adopt  
7 aquatic life criteria for chloride or specific  
8 conductivity. This is absolutely vital for suburban  
9 waterways like the Wissahickon Watershed to remain  
10 viable habitats for all the wildlife we know and love.

11                   Pennsylvania lies in the center of what  
12 is known as the Salt Belt, a cluster of northeastern  
13 states in which large quantities of salt are applied to  
14 roadways to control snow and ice. Today, as we speak,  
15 as the snowfalls, our salted roads will convey polluted  
16 runoff to the Wissahickon Creek.

17                   Chloride concentrations are, of course,  
18 higher in areas with more impervious surface and  
19 watersheds in Southeastern Pennsylvania are seeing  
20 elevated chloride levels in our streams like never  
21 before.

22                   Once chloride are in a water body there  
23 are no biological processes to remove them. They are  
24 not typically removed at wastewater treatment plants  
25 due to restrictively high costs and, thus, we're seeing

1 chloride in the stream throughout the year including  
2 during the summer low flow spikes when evaporation  
3 exceeds precipitation.

4                   As many studies have concluded already,  
5 we know now that elevated levels of chloride are toxic  
6 to aquatic life and freshwater environments. For  
7 example, macroinvertebrates maintain an internal ionic  
8 concentration that's higher than the surrounding water  
9 through osmoregulation. Osmoregulation can be  
10 disrupted by large increases in certain ions including  
11 chloride. This disruption in ion exchange can cause  
12 stress or even death to these sensitive  
13 macroinvertebrates. The Wissahickon has had steadily  
14 poor macroinvertebrate IBI scores scoring at 26 percent  
15 and below for all sites that we monitor since we began  
16 surveying seven years ago in 2011.

17                   Though we know this can be attributed to  
18 many stresses, rising chloride levels in our creek  
19 throughout the year surely have a profound impact on  
20 their populations. Frogs and salamanders that spawn in  
21 vernal pools in the Wissahickon may also be severely  
22 affected. Vernal pools tend to have high chloride  
23 concentrations in early spring when eggs are laid and  
24 in the summer when larvae and tadpoles undergo  
25 metamorphosis, two especially delicate times in their

1 life cycle.

2                   The Wissahickon Valley Watershed  
3 Association has collected data for 14 years since 2004.  
4 We currently sample at 13 different sites spanning the  
5 entire watershed. Between 2013 and 2017, all of the  
6 sites that we test tested above the EPA recommended  
7 aquatic life criteria of 230 milligrams per liter  
8 during winter sampling. Since 2011, significant trends  
9 of increasing chloride concentrations were found at  
10 several of our sites, not just for the winter months  
11 but throughout the entire year.

12                   The bottom line is that chloride is  
13 increasing in our waterways. The bottom line is that  
14 we know this is bad for our waterways. We understand  
15 there may be mixed messages from EPA and other states  
16 on accepted procedures - on what the accepted  
17 procedures for chloride should be but this is  
18 Pennsylvania and our citizens care about our  
19 environment and our citizens want to protect our  
20 waterways.

21                   We urge you to make a commitment to get  
22 the ball rolling, to not delay setting chloride  
23 standards any further. The time is now to start  
24 improving our procedures and think about what's going  
25 on the ground and what's ending up in our waterways.

1 There may be other regulatory tools to solve the  
2 problem of chloride in our waters, but let us begin  
3 here. Leadership needs to be taken by the State of  
4 Pennsylvania. We need to act, starting with a chloride  
5 standard.

6 The use of road salts in Pennsylvania is  
7 not going to stop in the near future and long-term  
8 effects of chloride in aquatic communities remain to be  
9 seen, but we do know this, freshwater shouldn't be  
10 salty. Thank you very much.

11 MS. EDINGER: Thank you.

12 At this time, all of our pre-registered  
13 folks have spoken. Is there anybody, additionally, who  
14 would like to offer commentary today on our proposed  
15 rule?

16 All right. Well, thank you all very  
17 much for being here. With no other commentators  
18 present, on behalf of the EQB, I hereby adjourn this  
19 public hearing at 2:34 p.m. Thank you, once again. We  
20 appreciate your presence here today.

21 \* \* \* \* \*

22 HEARING CONCLUDED AT 2:34 P.M.

23 \* \* \* \* \*

24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

I HEREBY CERTIFY THAT THE FOREGOING PROCEEDINGS,  
HEARING HELD BEFORE CHAIR LAURA EDINGER WAS REPORTED BY  
ME ON 01/30/2018 AND I STEPHANIE LUKACS READ THIS  
TRANSCRIPT AND THAT I ATTEST THAT THIS TRANSCRIPT IS A  
TRUE AND ACCURATE RECORD OF THE PROCEEDING.

  
Stephanie Lukacs,  
Court Reporter